

**Public Comment Meeting  
December 10, 2001  
Lexington, KY  
Page 1 of 44**

1

1

2

3

4

5

6

7

8

9

U.S. DEPARTMENT OF ENERGY

10

Kentucky Pioneer

11

Integrated Gasification Combined Cycle

12

Demonstration Project

13

Draft Environmental Impact Statement

14

Public Scoping Meeting

15

Lexington, Kentucky

16

December 10, 2001

17

18

19

20

21

22

**Public Comment Meeting  
December 10, 2001  
Lexington, KY  
Page 2 of 44**

1 APPEARANCES:

2 FOR THE U.S. DEPARTMENT OF ENERGY:

- 3 Roy Spears, U.S. Department of Energy
- 4 John Preston, Corps of Engineers, Project Manager
- 5 Jim Watts, Project Manager
- 6 Gordon Lorenzi, Compliance Officer

- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19

20 The U.S. Department of Energy public meeting  
21 was held at 7:00 p.m., December 10, 2001 at the  
22 Lexington Public Library, downtown Lexington,  
23 Kentucky, before Michele G. Hankins, Court Reporter.

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 3 of 44**

1 INDEX  
2  
3 Roy Spears ..... 4  
4 John Preston ..... 6  
5 Public Comment Period ..... 12  
6  
7

**Public Comment Meeting**

**December 10, 2001**

**Lexington, KY**

**Page 4 of 44**

4

1 PROCEEDINGS

2 MR. SPEARS: May I have your attention,  
3 please?

4 Everyone should take a seat, or find a  
5 comfortable spot to lean up against, we will begin  
6 this meeting.

7 Is the volume okay back there, Tim?

8 Good evening ladies and gentlemen.

9 Just a few housekeeping chores that we  
10 want to cover before we get too far into this public  
11 meeting.

12 If you find it necessary to go to the  
13 restroom, you can take the elevator, which is just  
14 outside and to your right. Go to the second floor  
15 and it is on either side of the elevator.

16 In the event of an emergency evacuation,  
17 fire, or some other emergency, we have this exit from  
18 this room and there are two exits both street sides  
19 here.

20 And if there is something back there  
21 that prevents us from getting out that way, there is  
22 an exit behind me here off the stage.

23 So I just want you to know that those  
24 are there, and hopefully we won't need them, at least

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 5 of 44**

5

1 we know where they are.

2           There are a few people that I would like  
3 to introduce tonight who have been very, very,  
4 helpful in putting together this draft environmental  
5 impact statement for the Kentucky Pioneer Energy,  
6 IGCC project.

7           One is from the Department of Energy,  
8 and project manager for this project, Jim Watts, who  
9 sits on the back row back there.

10           John Preston who is going to be doing  
11 some presenting tonight. John works for the U.S.  
12 Army Corps of Engineers out of the Huntington  
13 District. John is the project manager for the NEPA  
14 document here.

15           We have three gentlemen that are here  
16 from the Kentucky Pioneer Energy Project. We have  
17 Mike Muslin, Dwight Lockwood, who is the  
18 environmental regulatory affairs person.

19           We have Rich Bailey, who is vice  
20 president of Global Energy, but he is also with  
21 Kentucky Pioneer.

22           I would like to express my appreciation  
23 to these gentlemen for all the efforts that have been  
24 put forward. It has been a long rigorous process

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 6 of 44**

6

1 getting to this point, and we think we have made  
2 significant progress and we look forward to  
3 continuing, going through this public hearing, public  
4 comments that we will receive from you. Putting that  
5 together in a final EIS and getting a Record of  
6 Decision, which is our ultimate goal, of course.

7 I think without further adieu I would  
8 like to turn the program over to John Preston, who  
9 will take us through the NEPA process and give us  
10 some insight on some of the things that we have done,  
11 and some of the things that we still need to do.

12 John?

13 MR. PRESTON: Thank you, Roy. I thought  
14 it important to talk a little bit about why we are  
15 here. It is National Environmental Policy Act is a  
16 planning tool. And any federal action requires that  
17 we go through the NEPA process.

18 It is important tonight because we are  
19 at that point where it provides another opportunity  
20 for the public to give us comments so that we can do  
21 a better job of planning.

22 We started back in April with what is  
23 called a Notice of Intent, just basically an  
24 announcement that the Department of Energy determined

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 7 of 44**

7

1 that the appropriate document for this project, or  
2 proposed project, was the Environmental Impact  
3 Statement.

4           In May, we had a scoping meeting in  
5 Trapp, Kentucky, and I recognize some of the faces,  
6 some of you were there. That is where we got your  
7 comments on what we should look at in the process.

8           Since then, we have been preparing this  
9 Draft Environmental Impact Statement. And it is  
10 draft because we are now at the public hearing stage,  
11 or public comment period where we want to get your  
12 comments on how well we did in addressing those  
13 issues that you told us were important to you, as  
14 well as the ones we may have already decided were  
15 important.

16           After this hearing tonight, we have  
17 another in Trapp tomorrow at the same time, and then  
18 on January 4, we close the public comment period.

19           So we are requesting your comments be  
20 either submitted orally tonight, or you can submit  
21 them in writing to Mr. Spears, and the address is in  
22 your handout, by January 4.

23           We will take those comments and each  
24 comment will be considered, and we will have a

**Public Comment Meeting**

**December 10, 2001**

**Lexington, KY**

**Page 8 of 44**

8

1 comment document that will accompany the final  
2 EIS and you can see in there how we addressed your  
3 comments.

4       After that, within the agency, the  
5 Department of Energy will make a decision, and the  
6 decision will be whether to fund this demonstration  
7 project. That is indeed the federal action here is  
8 to decide whether or not to provide funding.

9       The EIS, we have the draft, considers  
10 three alternatives. Number one, is something  
11 required in all NEPA documents, this is the No  
12 Action. If the federal government does nothing, what  
13 will the environmental conditions be like, it pretty  
14 much remains the same, but there can be some adverse  
15 impacts, as well as beneficial impacts, to no federal  
16 action.

17       No Action, Number 2, is important in  
18 this document because should the DOE not fund the  
19 gasification demonstration and fuel cell  
20 demonstration of this project, Global Energy and  
21 Kentucky Pioneer, have indicated that they would go  
22 ahead and build what we term the power island portion  
23 of the project, which has determined to produce  
24 electricity, they would fuel that with natural gas.



**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 9 of 44**

9

1           So, therefore, there are impacts from  
2 that no federal action alternative, as well, and we  
3 decided to call them both No Actions, because, again,  
4 the federal action is demonstrating the technology by  
5 providing that which would allow the demonstration to  
6 take place.

7           So the proposed action is DOE provides  
8 funding to assist in the demonstration of the British  
9 Gas Lurgi, IGCC, power plant at a commercial scale,  
10 along with a two megawatt fuel cell -- and I am sure  
11 these gentlemen, if you got a chance to talk to them  
12 earlier, can describe that better than I, as far as  
13 technically, anyway.

14           The EIS, we consider a lot of  
15 environmental factors, this is where some of your  
16 comments came in at scoping, what we should look at.

17           This is essentially the outline of the  
18 main topic we considered.

19           There is too much detail to go in, but I  
20 do just want to say, that our analysis indicates that  
21 there is no significant impact from this project.  
22 Every one of them has an impact, but we don't feel  
23 any are significant on this scale of a project.

24           So, again, this is an important part of

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 10 of 44**

10

1 the NEPA process where we get the public's comments  
2 on how well we did addressing the impacts from this  
3 proposed action. Because it is important to the  
4 agency to make the decision on whether or not to go  
5 forward with the proposed alternatives, or not.

6       So I appreciate you all coming, and  
7 again the close of comment period is January 4.

8       You can speak orally here, we have a  
9 list of people registered to speak, we will open it  
10 to the floor, after those who have registered to  
11 speak.

12       Again, you can submit comments in  
13 writing, but also over the Internet. And  
14 I believe those addresses are in your pamphlet, there  
15 but again, you can submit comments in writing and  
16 also over the Internet. I believe those addresses  
17 are in your pamphlet. There are a couple of things  
18 in there that describe the project in more detail, as  
19 well as describe the NEPA process.

20       Thank you.

21       MR. SPEARS: John mentioned the handout  
22 that is available at the table at the back of the  
23 room. And this is what it looks like, I hope  
24 everyone got one, if you did not, this is what it

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 11 of 44**

11

1 looks like and it has some material in the back.

2           It also has the comment sheet inside.

3 Be sure to pick one up if you don't have one yet.

4           One other gentleman that I wanted to  
5 introduce, he sort of overlooks everything that we do  
6 on the NEPA side, at the National Energy and  
7 Technology Laboratory. He is our NEPA compliance  
8 officer, Lloyd Lorenzi, he is in the back.

9           We are very pleased that a number of you  
10 came out tonight. This is indicative of at least a  
11 concern of what is going on in your community, and a  
12 that is, in essence, why we have the public meeting.

13           We want to find out what you think about  
14 things, what comments you have, what concerns you  
15 have. So the purpose of this meeting tonight, as we  
16 have indicated a couple of times, is to receive your  
17 comments on this draft environmental impact statement  
18 for the Kentucky project.

19           I would like to now ask the first on our  
20 sign-up sheet to come forward. Actually, you will  
21 have a microphone delivered to you.

22           We would like for you to state your  
23 complete name slowly so that the court reporter can  
24 make sure that we get your name correct. And it

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 12 of 44**

1 probably wouldn't hurt if you spelled your name as  
2 well.  
3         We would like to request somewhere in  
4 the neighborhood of a five-minute comment period. We  
5 do not have a whole lot of commenters tonight, so  
6 that is not real, real important, but we do not want  
7 to go into a 20- or 30-minute dissertation.  
8         So, if you will hold them to about five  
9 minutes, and then later on, after all of your  
10 speaker, or speakers, have had an opportunity to  
11 comment, then perhaps you could come back up and make  
12 another comment if you wish.  
13         Let's talk about the handout. One very  
14 important issue is the closing of the comment period,  
15 which is January 4, 2002. So if you keep that in  
16 mind as you comment, we surely would appreciate that.  
17         We are now ready for Mr. Crewe, to begin  
18 his comment.  
19         MR. CREWE: My name is Phil Crewe.  
20         My name is spelled C-R-E-W-E, and  
21 I live here in Lexington. I am a member of the  
22 Sierra Club.  
23         My concerns are several, one of them is  
24 firstly, why is this plant specifically the

12

**Comment No. 1** **Issue Code: 14**

Because of DOE's limited role in providing cost-shared funding for the proposed Kentucky Pioneer IGCC Demonstration Project, alternative sites were not considered. Chapter 2 of the EIS discusses EKPC's 1998 Power Requirements Study which indicates that the electrical load for the region is expected to increase by 3.0 percent per year through 2017. Net winter peak demand is expected to increase by 3.3 percent per year and net summer peak demand is expected to increase by 3.0 percent per year. Peak demand is expected to increase from 2,031 MW in 1998 to 2,394 MW in 2003 and 3,478 MW in 2015. Based on this load growth, EKPC will need additional power supply resources of 625 MW in 2003. The need is further shown by EKPC's plans to construct four new CT electric generating units to provide peaking service alongside the three existing peaker CTs at the J.K. Smith Site. The power generated by the project will be used to support Kentucky's energy needs. The relatively small amounts and generally widely dispersed nature of MSW in Kentucky does not economically support exclusive utilization of Kentucky-generated MSW to produce RDF supplies. Importing RDF from a densely populated metropolitan area is more economically viable in order to supply the necessary amount of RDF required to operate the plant.

1/14

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 13 of 44**

1 gasification of municipal waste being built in  
 2 Kentucky?  
 3 We understand that the municipal waste  
 4 will come from New York and New Jersey. There is an  
 5 abundance of municipal waste in New York and New  
 6 Jersey and there is a shortage of power in the  
 7 northeast.  
 8 We, on the other hand, don't have that  
 9 degree of shortage of power. It would seem logical  
 10 that the plant be built where there is the abundance  
 11 of the waste to be processed, and where there is a  
 12 market, where the price for power is much higher.  
 13 As a matter of environmental justice,  
 14 I believe the plant should be built near where the  
 15 most of the feed stock for the plant is generated.  
 16 And I am concerned, and have so far not  
 17 gotten completely satisfactory answers about the  
 18 environmental state of toxic heavy metals in the  
 19 municipal waste.  
 20 We understand that most of them will end  
 21 up in the vitrified frit component, and that is just  
 22 the bottom of the gas fired.  
 23 What insurance do we have that this  
 24 material will not leach toxic heavy metals, plus

13

**Comment No. 2** **Issue Code: 13**

DOE does not believe that the proposed project poses environmental justice concerns. The environmental justice analysis is presented in Section 5.19 of the EIS, Environmental Justice.

1/14  
(cont.)

For this project, KPE selected the J.K. Smith Site due to the initial grading and development that occurred during the construction on the previously discontinued J.K. Smith plant. KPE determined that the project costs would be much higher and the environmental impacts greater if an undisturbed area was chosen.

**Comment No. 3** **Issue Code: 12**

With the exception of white goods (e.g., refrigerators), glass, and cans, the remaining components of MSW (e.g., paper, plastic, and food waste) are processed to make RDF. The process of manufacturing the RDF creates a relatively homogeneous end product; however, since MSW is variable, the exact components of RDF are not known. The vitrified frit consists primarily of ash (99.2 percent by weight) composed of oxides of the following elements: silicon (SiO<sub>2</sub>), aluminum (Al<sub>2</sub>O<sub>3</sub>), titanium (TiO<sub>2</sub>), iron (Fe<sub>2</sub>O<sub>3</sub>), calcium (CaO), magnesium (MgO), potassium (K<sub>2</sub>O) and sodium (Na<sub>2</sub>O). The frit also consists of chloride, fluoride, antimony, arsenic, beryllium, boron, cadmium, chromium, cobalt, copper, lead, manganese, mercury, molybdenum, nickel, silver, thallium, vanadium and zinc. Since all constituents are immobilized in the frit, which is resistant to corrosion in the environment and has been proven nonleachable by EPA standards, they will not contaminate the environment.

2/13

3/12

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 14 of 44**

1 lead, dioxin, cadmium and others over the long haul.  
 2 Even if it does pass, how does the claim  
 3 that is made by Global Energy that the frit passes  
 4 the so-called -- I believe it is the TTLT, leach  
 5 test, if that is correct. How does that translate  
 6 into the real world? If it just barely passes that  
 7 test, it can be sold as road aggregate or  
 8 construction material or fill material. How much  
 9 leaching of toxic a day will occur? We don't have  
 10 the answer to that question.  
 11 What is the basis of the claim that this  
 12 will not leach toxins in the Kentucky environment  
 13 that have come from another part of the country?  
 14 Another concern would be the amount of  
 15 water usage. This plant will consume water from the  
 16 Kentucky Rivers in the pool above Lexington. There  
 17 is a continuing demand on the Kentucky River.  
 18 Last year, if you remember, we had a  
 19 severe drought where the flow of the river almost  
 20 stopped and the consumption by the community, was  
 21 actually greater than the flow of the river.  
 22 So the component of gasifying coal  
 23 and/or municipal waste, greatly increases the water  
 24 consumption. So, we would be assured that this plant

14

3/12  
(cont.)

4/07

**Comment No. 3 (cont.)** **Issue Code: 12**  
 Vitrified frit from this facility is expected to pass the more stringent  
 Universal Treatment Systems criteria of the EPA-TCLP analytical  
 method. Frit is considered a commercial product, not a waste;  
 therefore, the vitrified frit from the gasification process can be used in  
 areas such as road and building construction. Chapter 3 of the EIS has  
 been modified to include a more detailed description of the frit.

**Comment No. 4** **Issue Code: 07**  
 The cumulative effects of withdrawals from the Kentucky River by  
 power plants have been discussed by the Kentucky Natural Resources  
 and Environmental Protection Cabinet in their cumulative assessment  
 report (KNREPC 2001), addressed in Section 5.14, Cumulative  
 Impacts. The Cabinet acknowledges that because many of Kentucky's  
 power plants are exempt from water withdrawal requirements, the  
 Cabinet does not have an accurate inventory of the volume of water  
 being removed each day by the existing power plants. However, the  
 KDEP is able to limit withdrawals from permitted sources during  
 periods of abnormally low flow. Although the proposed plant would  
 not be a permitted withdrawal source, KPE has stated that they would  
 cease water withdrawals if requested to by the state.

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 15 of 44**

1 would not consume a large amount of water, when there  
2 were extremely low flows in the Kentucky River.

3 Another concern is the visual pollution.  
4 The stacks from the gasification aspect of this  
5 plant, would be visible from the top of Pilot Knob,  
6 that is supposedly where Daniel Boone first viewed  
7 the Bluegrass in 1769 on the first long hunt in  
8 Kentucky into the bluegrass.

9 And I have been up there many times and  
10 it is a beautiful site and it is largely a rural  
11 view. You are looking at what looks like a great sea  
12 stretching out into infinity. And this will be  
13 visual pollution, if you will, about eight miles away  
14 it will be visible.

15 I will probably have other comments  
16 later, or before the January 4th cut off period, but  
17 particularly my concern is, I will reiterate, the  
18 ultimate environmental phase of the heavy metals  
19 coming into Kentucky in municipal waste. Keeping  
20 toxic waste out of that, which I don't think there  
21 will be a way to do. And the question of  
22 environmental justice, why the plant is not being  
23 built near the source of the feed stock and the  
24 municipal waste?

15

4/07  
(cont.)

5/04

3/12  
(cont.)

2/13  
(cont.)

**Comment No. 5**

**Issue Code: 04**

Comment noted. Impacts to the aesthetic and scenic environment of the project area are presented in Section 5.5, Aesthetic and Scenic Resources, of the EIS. The tallest structures that would be built for this project are the facility stacks for the gasifiers. These structures would stand 65 meters (213 feet) in height and would likely be visible from the 222.5-meter (730-foot) high observation position on top of the Pilot Knob State Nature Preserve, 12.8 kilometers (80 miles) east of the project site. However, due to the distance from the facility, the aesthetic and scenic impact to the viewshed from Pilot Knob would be minor.

1           That is all I have to say right now. I  
2 appreciate the opportunity.  
3           MR. SPEARS: Thank you very much,  
4 Mr. Crewe. I appreciate your comments.  
5           Commenter number two, Ramesh Bhatt.  
6           MR. BHATT: My name is Ramesh Bhatt.  
7 R-A-M-E-S-H, B-H-A-T-T.  
8           I am a resident of Lexington, Kentucky,  
9 also.  
10          I have many of the same concerns that  
11 Crewe voiced just recently. I want to reinforce some  
12 of them.  
13          First, I was struck by the vagueness of  
14 the analysis of the draft EIS.  
15          My judgment is that an EIS is useful and  
16 highly special, and I was surprised that there was no  
17 data on whether this frit, this left over product  
18 that comes from this process, whether it is hazardous  
19 or not.  
20          The people don't even know at this  
21 point. I think the EIS document is unclear whether  
22 it is hazardous or not.  
23          I don't know what kind of EIS can be  
24 done if you don't even know that. There are all

16

**Comment No. 6** **Issue Code: 14**

DOE believes that the Kentucky Pioneer IGCC Demonstration Project EIS adequately analyzes the full scope of environmental impacts from the proposed project. Chapter 3 has been modified to provide more details on the gasification process, including the production of the vitreous frit.

**Comment No. 7** **Issue Code: 12**

RCRA, Subtitle C, has established special on-site accumulation requirements for generators of hazardous waste depending on the RCRA generator status of the facility. Assuming that the proposed plant would be a large quantity generator (generating more than 1,000 kilograms [2,200 pounds] or more of hazardous waste per month), under RCRA it is allowed to accumulate hazardous waste conversion onsite for no more than 90 days (§262.34a).

6/14

Vitrified frit is considered a commercial product, not a waste. The frit produced by the proposed project is expected to be marketable. The frit from gasifiers operating on a 100 percent coal feed has consistently proven to be nonhazardous and rarely fails the TCLP test. Since this project will be using a different feed stream, the first batch of frit should be tested to ensure that it meets all TCLP criteria and is therefore nonhazardous.

7/12

6/14

(cont.)



**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 17 of 44**

1 kinds of environmental issues with the handling of  
2 the hazardous material, if it turns out to be  
3 hazardous.

4           So I was a little surprised by that. I  
5 think for the final EIS, we need to know more  
6 information, because this is obviously going to be a  
7 critical aspect of this project here.

8           That is one point.

9           The second point that I am concerned  
10 about that was clear to me from the EIS document, the  
11 draft anyway, was the nature of the monitoring.

12           This is an experimental facility. This  
13 is the first time that something like this is going  
14 to be tried in the U.S.

15           It is designated as an official  
16 municipal waste combustion. It is about a mile from  
17 a local school. Given all this, shouldn't there be  
18 some more information about who is going to be  
19 monitoring it, what is going to be monitored? This  
20 is supposed to be a one-year project, we want to know  
21 what happens at the end of it. Is there going to be  
22 a public meeting at the end of one year where we know  
23 what will come of this? Is it going to be a complete  
24 new permitting process at the end of the first year?

17

6/14  
(cont.)

**Comment No. 8**

**Issue Code: 11**

The air quality permit issued by the Air Quality Division of the KDEP requires continuous emissions monitoring. Compliance with emission limits set by the Final PSD/Title V Permit would be verified by a detailed set of monitoring and reporting requirements as outlined in the permit. Continuous emissions monitoring equipment is required on the generator system stacks for NO<sub>x</sub>, CO, O<sub>2</sub>, SO<sub>2</sub>, and opacity. Initial stack tests are required for NO<sub>x</sub>, CO, SO<sub>2</sub>, PM<sub>10</sub>, volatile organic compounds, beryllium, cadmium, lead, mercury, hydrogen chloride, and dioxins/furans. Initial monitoring of hydrogen sulfide (H<sub>2</sub>S) is required at the sulfur recovery facility, and periodic opacity observations are required at various material handling facilities. In addition, annual stack tests are required for PM<sub>10</sub>, cadmium, lead, mercury, hydrogen chloride, and dioxins/furans.

Appropriate and required personnel monitoring would also be conducted. Health and safety procedures and health monitoring requirements would be addressed during the design and construction phase of the proposed project.

8/11

**Comment No. 9**

**Issue Code: 21**

KPE has a contract in place with EKPC to provide power continuously for a 20-year period. The facility would not shut down after the 1-year demonstration period, but would continue to operate to honor the commitment to EKPC. As discussed in Chapters 1 and 2 of the EIS, the performance, technical, and economic data would be used to determine the commercial viability of the BGL gasifier at other new and existing facilities. There would not be a new round of permitting following the end of the 1-year demonstration period. The PSD/Title V Air Permit issued by the Kentucky Division of Air Quality is final and does not require renewal following the demonstration. At the close

9/21

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 18 of 44**

18

1 I think all of this information needs to  
2 be in the EIS.

3 The third point that is of concern to me  
4 is that from what I could make up, the analysis was  
5 based on 50 percent of this refuse pellet and 50  
6 percent coal waste. But my understanding is that in  
7 the future, more refuse may be used. All of this  
8 chemical analysis, what is going to be the outcome,  
9 et cetera, et cetera, based on 50 percent/50 percent,  
10 or is it going to be 80 percent, 90 percent?

11 That brings me to another critical  
12 aspect of the EIS that needs to be addressed. A  
13 fourth aspect is the nature of this refuse pellet, or  
14 the refuse derived fuel. It is unclear, it is a  
15 little vague, as to what the components of this would  
16 be, not a lot of hand waiving about things may be  
17 removed, some things ought to be removed, but if they  
18 get removed, we don't know.

19 It says that the intent is to buy this  
20 fuel from one particular supplier. If that is the  
21 intent, will we have more information about this? We  
22 should probably have a lot more information about the  
23 composition of these pellets, what happens, what are  
24 the pellets made for, are they being burned into the

10/14

11/16

11/16  
(cont.)

**Comment No. 9 (cont.)** **Issue Code: 21**  
of the demonstration period, the KPDES permit for water usage would also be final and not require renewal. Any required fuel feed component changes following the 1-year demonstration period would likely require modification of the air and water permits.

**Comment No. 10** **Issue Code: 14**  
The EIS provides analysis and impacts based on the fuel feed used for the 1-year demonstration. The impacts presented in the EIS are based on the full 20-year timeframe that the plant is expected to be operating. Varying the percentage composition of the feed stream after the demonstration period will not significantly alter the expected environmental impacts from the proposed project.

**Comment No. 11** **Issue Code: 16**  
Chapter 3, Section 3.2.2.2 of the EIS, discusses the production and composition of the RDF pellets using all available and relevant data.

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 19 of 44**

1 atmosphere, are they being used elsewhere for  
2 whatever purpose?  
3           So I would like to know about all of  
4 these things. My suggestion is that we have the  
5 information of this nature. It should be an integral  
6 part of the EIS.  
7           The draft EIS also says that on these of  
8 tons of tons of sulfur dioxins, carbon monoxide, that  
9 it kind of dismisses this as not being significant.  
10 From what perspective? It may not be significant in  
11 terms of a traditional coal-fired plant, but we don't  
12 want to have chemicals anymore than we need.  
13           So I don't understand how EIS can be so  
14 dismissive of a thing like this. You have a  
15 cumulative impact of all of these things on the  
16 environment of Kentucky. I think this is an  
17 important issue and it needs more discussion.  
18           Another point I have was the visual  
19 pollution that someone made about the stacks being  
20 visible from this Pilot Knob and the City of  
21 Winchester. This is a critical issue and an  
22 important issue from this region, but at the same  
23 time they are talking about beautifying this region  
24 and bringing more people in for tourism and things of

19

11/16  
(cont.)

**Comment No. 12** **Issue Code: 06**

The EIS characterizes the emissions from the proposed project as having a less than significant impact based on the fact that incremental ambient air quality impacts from these emissions would be a very small fraction of the relevant federal and state ambient air quality standards (less than 1 percent of the standards for gaseous pollutants and less than 4 percent of the PM<sub>10</sub> standards). In addition, the project would comply with all applicable federal and state air quality regulations, including federal PSD regulations.

12/06

Section 5.7, Air Resources, of the EIS has been revised to further evaluate impacts related to acid deposition and heavy metal deposition downwind of the project site.

**Comment No. 13** **Issue Code: 20**

Comment noted. Section 5.14, Cumulative Effects, has been revised to include an analysis of the cumulative health effects.

13/20

**Comment No. 14** **Issue Code: 04**

Comment noted. Impacts to the visual setting of the project area are presented in Section 5.5, Aesthetic and Scenic Resources, of the EIS. The large size of the surrounding J.K. Smith Site and the hilly nature of the area would reduce the visual and aesthetic impacts to a large degree. The facility would be visible from high elevations including the 222.5-meter (730-foot) high observation position on top of Pilot Knob State Nature Preserve, 12.8 kilometers (8 miles) east of the project site. However, due to the distance from the facility, the aesthetic and scenic impact to the viewshed from Pilot Knob would be minor. No impacts to regional tourism have been identified as a result of this project.

14/04

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 20 of 44**

1 that nature.  
2 Another point, a final point, from the  
3 draft EIS, I could make out that up to 60 percent of  
4 the water is taken from the Kentucky River, it is  
5 used for thermal electric power production, that is a  
6 lot.

7 In other words, of all of the water that  
8 is taken from the river, most of it, the majority of  
9 it, 60 percent of it, goes for the production of  
10 energy. Now, what does it do to the river  
11 eventually?

12 The draft EIS statement dismisses the  
13 water taken out as not being a significant amount and  
14 a maximum of up to four percent of the flow when the  
15 water levels are low. But if you look at the  
16 cumulative aspects of all of this, ultimately  
17 I think we are going to be in trouble if we don't  
18 take better care of our water.

19 So, those are the comments that  
20 I have. I suspect that other speakers will have  
21 issues about water, too.

22 The bottom line for me has been that the  
23 EIS, I don't feel like it gives enough information,  
24 and relies a lot on data provided by the interested

20

**Comment No. 15**

**Issue Code: 07**

The cumulative effects of withdrawals from the Kentucky River by power plants have been discussed by the Kentucky Natural Resources and Environmental Protection Cabinet in their cumulative assessment report (KNREPC 2001), addressed in Section 5.14, Cumulative Impacts of the EIS. The Cabinet acknowledges that because many of Kentucky's power plants are exempt from water withdrawal requirements, the Cabinet does not have an accurate inventory of the volume of water being removed each day by the existing power plants. However, the KDEP is able to limit withdrawals from permitted sources during periods of abnormally low flow. Although the proposed plant would not be a permitted withdrawal source, KPE has stated that they would cease water withdrawals if requested to by the state.

15/07

6/14  
(cont.)

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 21 of 44**

1 company, rather than presumably from objective  
2 observers on the outside.  
3           The process of it, we don't know what  
4 the frit is going to be about, we don't know whether  
5 it is hazardous or not. If it is hazardous, how can  
6 we get rid of it in a nonhazard way? What is the  
7 concentration of the hazardous waste, they get up to  
8 60 days or 90 days to move this hazardous waste in  
9 the same location.

10           There a lot of environmental issues  
11 involved with all of those things. It seems to me  
12 that a complete EIS would have to bring out these  
13 issues.

14           Thank you.

15           MR. SPEARS: Thank you, Mr. Bhatt.

16           Our next commenter is Patty Draus.

17           MS. DRAUS: Thank you. My name is Patty  
18 Draus and I am from Lexington.

19           My comments are very similar in nature  
20 to the previously mentioned ones.

21           I do have some concerns about the water  
22 usage and the fact that large quantities -- the  
23 quantity that will returned to the water, presumably  
24 to the river, would be at a higher temperature than

21

6/14  
(cont.)

7/12  
(cont.)

16/07

**Comment No. 16**

**Issue Code: 07**

Section 5.9 of the EIS, Ecological Resources, discusses potential impacts from the water returned to the river at high temperatures. As stated in Section 5.8, Water Resources and Water Quality, treated wastewater is expected to contain conventional pollutants such as nitrogen, phosphorus, total dissolved solids, and biological and chemical oxygen demand. Pollutant discharge limitations, including thermal limits, would be set by the Kentucky Natural Resources and Environmental Protection Cabinet, Division of Water's Water Resources Branch and would be identified in the KPDES permit. These limitations would be established based on site-specific computer modeling of the expected effect on water quality of the Kentucky River at the proposed discharge point and in the mixing zone immediately downgradient. The limits specified in the permit would protect existing water quality.

The Water Resources Branch pays particular attention to the proximity of wastewater discharges to drinking water intakes. New sources of wastewater are prohibited within 8 kilometers (5 miles) of a water treatment plant intake. This 8-kilometer (5-mile) limit was established to provide an additional layer of protection for the water quality found at drinking water intakes over treatment alone and is referred to as Zone 1. Zone 2 extends from 8 to 16 kilometers (5 to 10 miles), while Zone 3 is the area from 16 to 40 kilometers (10 to 25 miles) from a water treatment plant intake. The proposed outfall is located in Zone 3 for the Winchester Water Treatment Plant. Water collected at the treatment plant is tested and treated to meet all federal and state requirements concerning drinking water quality. Therefore, no impacts to drinking water are expected.

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 22 of 44**

1 what was taken out, what will be the environmental  
2 impacts of that? As well as what chemicals will be  
3 returned to the river?  
4 As previously mentioned, during low flow  
5 times -- we have had some concerns here in Lexington,  
6 where will we get our drinking water and now we will  
7 have drinking water with additional chemicals in it  
8 that I am particularly not interested in drinking.  
9 My second concern has to do with the  
10 trash that is being brought from out of state. I  
11 hate to see the State of Kentucky become the trash  
12 reciprocal for other states, now we can start getting  
13 this from all over the nation. How do you control  
14 the content of the trash and when you burn this and  
15 when you produce this frit, how do you control what  
16 comes out and what effect it will have on our  
17 environment?  
18 So, I just really would rather see that  
19 we not be using trash as the fuel source for this  
20 power plant.  
21 And my third concern, which probably, or  
22 is definitely not within the scope of your  
23 environmental impact, but I do have concern about  
24 whether we need this power. Where is the demand for

22

**Comment No. 17** **Issue Code: 12**

The RDF pellet and coal cofeed that is processed during gasification results in the formation of molten slag, which becomes vitrified frit when quenched with water. The vitrified frit from gasifiers utilizing other feed stocks is resistant to corrosion in the environment and considered nonleachable by EPA standards. The frit produced by this facility is expected to meet all TCLP criteria. It will be a marketable product, not a waste.

16/07  
(cont.)

**Comment No. 18** **Issue Code: 16**

DOE selected the Kentucky Pioneer IGCC Demonstration Project for further consideration under DOE's fifth solicitation (CCT-V) of the CCT Program and concludes that the project falls under CCT Program requirements due to the use of the co-fed BGL technology.

17/12

**Comment No. 19** **Issue Code: 14**

Chapter 2 of the EIS discusses EKPC's 1998 Power Requirements Study which indicates that the electrical load for the region is expected to increase by 3.0 percent per year through 2017. Net winter peak demand is expected to increase by 3.3 percent per year and net summer peak demand is expected to increase by 3.0 percent per year. Peak demand is expected to increase from 2,031 MW in 1998 to 2,394 MW in 2003 and 3,478 MW in 2015. Based on this load growth, EKPC will need additional power supply resources of 625 MW in 2003. The need is further shown by the EKPC's plans to construct four new CT electric generating units to provide peaking service alongside the three existing peaker CTs at the J.K. Smith Site. The Kentucky Pioneer IGCC Demonstration Project will not be used to phase out existing coal-burning plants. The power generated by the IGCC will be used to support Kentucky's energy needs.

18/16

19/14

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 23 of 44**

1 this plant or will it be phasing out another old  
2 coal-burning plant that is not as efficient and not  
3 as clean?

4 And those are the three things that I am  
5 concerned with.

6 Thank you.

7 MR. SPEARS: Thank you very much,  
8 Ms. Draus.

9 Our next commenter, Naomi Shultz.

10 MS. SHULTZ: My name is Naomi Shultz.  
11 And I am speaking tonight on behalf of my colleagues  
12 at the Kentucky Environment Foundation, which is  
13 located in Greenup, Kentucky.

14 For the past six weeks, Kentucky  
15 Environment Foundation has focused almost exclusively  
16 on the issue of chemical weapons disposal and have  
17 fought hard to protect all central Kentucky citizens  
18 from the effects of a proposed chemical weapons  
19 incineration.

20 At Kentucky Environment Foundation, we  
21 steadily support non-incineration technology which do  
22 not release toxic chemicals in Kentucky's air, water  
23 and food.

24 We continue to maintain focus on the

23

19/14  
(cont.)

**Comment No. 20**  
Comment noted.

**Issue Code: 22**

20/22

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 24 of 44**

1 chemical weapons incinerator, yet are compelled to  
2 comment tonight, and later in the form of written  
3 comment, on the ludicrous idea of a waste burning  
4 power plant in Clark County.

5           Here briefly are our primary concerns.  
6 The first concern is using municipal waste to fuel a  
7 power plant -- I am having trouble with using this  
8 word -- municipal waste to fuel a power plant. We  
9 think it is extremely dangerous to public health.

10           Municipal waste have heavy metal,  
11 corrosive plastics and other materials, which when  
12 burned, come out the other end in the form of toxic  
13 compounds (inaudible).

14           One such family of chemicals known as  
15 dioxins, are considered by the U.S. EPA, various  
16 health organizations, and the United Nations  
17 Environmental Program are among the most dangerous  
18 chemicals ever made.

19           In 1994, the U.S. EPA stated that the  
20 average U.S. citizen there has already found unsafe  
21 levels of dioxins. That is, we have already been  
22 exposed to a level of dioxins as which health effects  
23 can occur.

24           What are the health effects, cancer,

24

20/22  
(cont.)

21/11

**Comment No. 21**

**Issue Code: 11**

No significant impacts to the general public's health and safety would be expected from gasification of RDF. The proposed project is not an incinerator or conventional power plant burning coal or RDF. The gasifier operates as a completely enclosed pressurized system. Gasification occurs at high temperatures which ensures complete destruction of toxic organic compounds and incorporation of heavy metals in molten slag, recovered by quenching as a nonleachable glassy frit. Since gasification occurs at high pressures, the process produces no air emissions. Furthermore, the high temperatures achieved during gasification from the use of oxygen instead of air prevent the formation of dioxins/furans. The resulting product of the gasification process is syngas, consisting mainly of CO and H<sub>2</sub>. Only minor amounts of wastewater are produced from the gasification process. The wastewater would be treated and discharged to the Kentucky River in accordance with the KPDES permit. Sludge from the wastewater treatment process is expected to be nonhazardous.

No emissions or waste products are produced from the gasification process. Refer to Chapter 3 of the EIS, Section 3.1.2.2, for an additional description of the gasification process. Use of RDF reduces the burden associated with disposal of large quantities of MSW and the need for additional landfill space.

Dioxin discharges are presented in Chapter 5, Table 5.7-4 of the EIS. The value given in this table overstates the actual emissions that will occur because it is the maximum limit established by the PSD/Title V Air Permit. No data is available for plant design to allow for modeling of actual dioxin emission rates, so the permit limit was used for the analysis.





Public Comments

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 26 of 44**

1 bad air quality.

2 It may be true that central Kentucky has  
3 suffered poor air quality that has affected so many  
4 urban and rural communities.

5 Let's set our goals to provide the  
6 highest possible standards for clean air, not the  
7 highest number of children requiring asthma  
8 treatment.

9 The fourth concern is that waste should  
10 be reduced and recycled, not shipped across state  
11 lines to be burned, period.

12 And the fifth and final concern for  
13 tonight, solution to demands for power in Kentucky  
14 and elsewhere, will not be found in shortsighted,  
15 waste to energy facility but in more sustainable  
16 methods.

17 The Kentucky Environmental Foundation  
18 will provide more detailed comments in writing by the  
19 January deadline.

20 For now, we emphatically state our  
21 opposition to this facility in Clark County, central  
22 Kentucky, or anywhere.

23 Thank you very much.

24 MR. SPEARS: Thank you very much,

26

23/06  
(cont.)

24/22

25/22

26/16

**Comment No. 24**  
Comment noted.

**Comment No. 25**  
Comment noted.

**Comment No. 26**  
Comment noted.

**Issue Code: 22**

**Issue Code: 22**

**Issue Code: 16**

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 27 of 44**

1 Ms. Shultz.  
2 Our next commenter, Bernard McCarthy.  
3 MR. McCARTHY: My name is Bernard  
4 McCarthy. I live here in Lexington.  
5 I just want to say, first of all, I  
6 think burning garbage as a fuel is a lot more  
7 sensible than burying the garbage in landfills and  
8 then having to use other fuels.  
9 I think that while coal is not as good  
10 of a fuel source as the garbage, in that coal has to  
11 be mined, I still would rather see coal-fired power  
12 plants than have natural gas used up generating  
13 electricity, because natural gas can be used so  
14 easily for so many other things from home heating and  
15 cooking, to even as an alternative to gasoline in  
16 powering vehicles is used.  
17 You press it into the right kind of  
18 tanks and get the right kind of vehicles.  
19 Now, having said that, if a plant were  
20 to primarily burn coal, it would make the most sense  
21 to put it as close to the coal mine as you can,  
22 instead of the electricity by live wire to wherever  
23 it is going to be used. That way, we would not wear  
24 out and clog up our highways near as bad.

27

**Comment No. 27**  
Comment noted.

**Issue Code: 16**

27/16

**Comment No. 28**  
Comment noted. For this project, KPE selected the J.K. Smith Site due to the initial grading and development that occurred during the construction on the previously discontinued J.K. Smith plant. KPE determined that the project costs would be much higher and the environmental impacts greater if an undisturbed area was chosen.

**Issue Code: 10**

28/10

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 28 of 44**

1 If on the other hand, you are going to  
2 burn a higher percentage of garbage, then it makes  
3 sense to put the plant wherever the garbage is coming  
4 from. Although, I am pretty sure the garbage is  
5 being produced everywhere and the thing to do might  
6 be to go ahead and build the plant here, but instead  
7 of hauling in garbage from another state, burn the  
8 garbage generated right here in Kentucky that is  
9 currently going into landfills and then somebody else  
10 build another plant in those other states to burn  
11 their garbage.

12 And if you are planning on burning a  
13 50/50 mixture of garbage and coal so that one or the  
14 other has to be transported long distances, which is  
15 going to burn up various other fuels to power the  
16 trucks or the trains.

17 And probably the best thing to do is put  
18 the plant wherever you have the most number of  
19 unemployed persons to meet the work, which I think  
20 about east of here should readily qualify.

21 I would also like to point out that if  
22 the environmentalist, various firms object to it, it  
23 tells me that it is probably the right thing to do,  
24 by all means build this thing.

28

**Comment No. 29** **Issue Code: 16**

Comment noted. Because of DOE's limited role of providing cost-shared funding for the proposed Kentucky Pioneer IGCC Demonstration Project, alternative sites were not considered. KPE selected the existing J.K. Smith Site because the costs would be much higher and the environmental impacts would likely be greater if an undisturbed area was chosen. Also, the relatively small amounts and generally widely dispersed nature of MSW in Kentucky does not economically support exclusive utilization of Kentucky-generated MSW to produce RDF supplies. Importing RDF from a densely populated metropolitan area is more economically viable in order to supply the necessary amount of RDF required to operate the plant.

29/16

**Comment No. 30** **Issue Code: 02**

Comment noted. The unemployment rates for the counties within the socioeconomic ROI are presented in Chapter 4 of the EIS, Table 4.3-2. The rates have risen since 2000, with recent figures presented by the Kentucky Department for Employment Services showing unemployment rates of 5.3 percent for Clark County, 3.0 percent for Fayette County, and 4.5 percent for Madison County as of December 2001. The ROI rate has risen to 3.5 percent and the State of Kentucky's rate is 5.2 percent. This increase in the unemployment rate indicates that the jobs are needed in the area.

28/10  
(cont.)

30/02

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 29 of 44**

29

**Comment No. 31**  
Comment noted.

**Issue Code: 22**

1 MR. SPEARS: Thank you very much,  
2 Mr. McCarthy.  
3 The next commenter is Chris Huestis.  
4 And I hope that I pronounce your last name correctly.  
5 MR. HUESTIS: You got it.  
6 My name is Chris Huestis. I am from  
7 Lexington.  
8 I wrote down a few notes, I don't know  
9 if I can read my own notes, but I will try.  
10 There is an interesting history in terms  
11 of the environmental protection in Kentucky.  
12 Basically, it does not happen.  
13 We have had environmental disasters from  
14 Paducah and the radiation from the nuclear power  
15 plants. We have had all the way to eastern Kentucky  
16 with the coal slurries spilling out into the river  
17 and streams and having incredible disasters all over  
18 this state that EPA has already failed the people in  
19 Kentucky to protect the environment.  
20 Our local and state government is also a  
21 part of that. We have failed everyone. Even our  
22 local people often are dumping their waste in various  
23 places in rivers and streams. Go to Red River Gorge,  
24 you will find tires in the Red River in the place

|  
31/22

|  
31/22  
(cont.)

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 30 of 44**

1 that is supposed to be preserved for natural beauty.  
2         We are under a toxic siege. Our  
3 leadership has really failed us. There is really a  
4 real lack of leadership in protecting the  
5 environment.

6         One of my main questions is, how can we  
7 expect any protection or of any promises in the  
8 future from the federal government, from the local  
9 government, from the state government, where we have  
10 had one disaster after another?

11         It seems that Kentucky is wanting to be  
12 a toxic dump. And the leadership creates a chain  
13 reaction. It can go toxic or it can provide a  
14 habitat for change. A habitat for life. There is a  
15 biologist, his name is Edward O. Wilson, he is a  
16 naturalist. He has taught had Harvard for about, I  
17 don't know, 45 years. He has won a couple of  
18 Pulitzer Prizes. One of his books, Diversity of  
19 Life, is worth checking out.

20         But in that he states, that we are under  
21 a massive extinction on the planet, it has gone  
22 through it several times, about five or six times at  
23 the level of what he is talking about.

24         Wherein, incredible numbers of species,

30

**Comment No. 32**

**Issue Code: 11**

The primary purpose of federal, state, and local environmental regulations is to protect the public health and safety, the environment, and to reduce the likelihood and impacts of accidents. The past performance of federal, state, and local governments on disasters is beyond the scope of this EIS.

32/11

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 31 of 44**

1 80 percent, 90 percent of the species of life, are  
2 wiped out.  
3       The current one that he says we are in  
4 through his research is essentially caused by the  
5 humans, by people, by the way we live. If we can  
6 take \$78 million for research for a power plant, why  
7 not take \$78 million for some environmental  
8 protection in Kentucky?  
9       I think that is my main comment is that  
10 we have lost our leadership for the environment and  
11 there is no credibility within the corporate world  
12 when they say they can produce clean safe energy in  
13 the environment in Kentucky.  
14       So I think that is what is essentially  
15 is missing. Another comment I would like to make is  
16 when you have these public hearings there needs to be  
17 more attention drawn to the public hearing itself.  
18 More notice in the newspapers, or television, or the  
19 media to get the word out.  
20       I found out about this through a friend,  
21 personal word of mouth, which is fine for me, but  
22 what I want to know is how many other people in the  
23 community know about this, or if they have even heard  
24 about this meeting. I think it is important for

31

**Comment No. 33** **Issue Code: 14**  
The Kentucky Pioneer IGCC Demonstration Project is a CCT selected by DOE to demonstrate the efficiency and environmental performance of new technologies. The issues of alternative uses of the Nation's funds are beyond the scope of the EIS.

33/14

**Comment No. 34** **Issue Code: 21**  
The public hearing dates, times, and locations were announced in the *Federal Register*, in local newspapers the *Winchester Sun* and *Lexington Herald-Leader*, and in public service announcements. All requirements in state and federal laws, rules, and regulations regarding announcements for public hearings were satisfied or surpassed.

31/22  
(cont.)

34/21

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 32 of 44**

32

1 people to know so that they can come down and make a  
2 comment.

3 Thank you.

4 MR. SPEARS: Thank you very much.

5 I appreciate everybody's comments.

6 We have our last signed up commenter, at  
7 least.

8 I am not sure about the name here,  
9 Chetan Talwalker.

10 MR. TALWALKER: Hi. My name is Chetan  
11 Talwalker. I am a member of the Kentucky  
12 Environmental Foundation and a member of the board of  
13 the Kentucky Resources Council.

14 I want to express my concern about the  
15 proposal that has been offered. I found out about  
16 this from a group of folks who are interested in the  
17 issues of the Daniel Boone National Forest. I am a  
18 frequent user of the forest. I spend a lot of time  
19 in that area. I am very concerned about the impact  
20 that this kind of combustion facility is going to  
21 have, both of the aesthetic and public health aspect  
22 of the forests.

23 And as someone who for the last 10 years  
24 has been promoting alternative to building a

**Comment No. 35**

**Issue Code: 04**

Comment noted. Impacts to the visual setting of the project area are presented in Section 5.5, Aesthetic and Scenic Resources, of the EIS. Due to the hilly nature of the terrain and the reduced visibility associated with forests, the project would have negligible aesthetic and scenic impacts to the forests of the region.

**Comment No. 36**

**Issue Code: 08**

Potential impacts to local forest health would result primarily through the air emissions pathway. Air Quality Permit Number V-00-049 terms and conditions address operational limitations and conditions including monitoring and testing requirements. The air permit was issued based on a high level of sulfur removal and recovery from the syngas stream prior to its use. Additionally, a component of the air quality permit includes a Phase II Acid Rain Permit. Adherence with permit conditions would limit air pollutant emissions in the local area and reduce the likelihood of adverse impacts to forest health.

35/04  
36/08



**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 33 of 44**

33

**Comment No. 37**

**Issue Code: 22**

Comment noted. The issue of alternative power sources is outside the scope of the Kentucky Pioneer IGCC Demonstration Project EIS.

1 pipeline, I am certainly very much in support of  
2 efficient use of natural resources and energy. I  
3 think efficiency is an energy option that is vastly  
4 under utilized in Kentucky, and is something that  
5 would be a much better alternative, a much better  
6 use, a much better way of getting the electricity  
7 that might otherwise be supplied in keeping the  
8 electricity that might otherwise be supplied by this  
9 facility.

37/22

10 In other words, what I am saying is,  
11 spend your \$78 million, or however much it is going  
12 to end up costing on measures that reduce the need  
13 for the electricity, instead of spending money in a  
14 supply site option that may or may not work, and is  
15 going to have significantly greater health  
16 consequences.

17 I will also be submitting written  
18 comments. And I thank you for your time.

19 MR. SPEARS: Okay. Thank you very  
20 much.

21 Our next speaker is Erin McKenzie.

22 MS. McKENZIE: My name is Erin  
23 McKenzie. I am a student at the University of  
24 Kentucky.

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 34 of 44**

1 I would just like to say that I am  
2 outraged at the fact that I didn't have any idea that  
3 this was being planned or discussed in a public  
4 forum, until this afternoon when I checked my e-mail.

5 It is only because I am on a list of a  
6 particular citizens' group that I found out about  
7 this.

8 I think it is very wrong that there is  
9 not more mention of this in the media, that citizens  
10 don't know that this is going in their own  
11 community.

12 And furthermore, on behalf of my fellow  
13 students, I would like to say that it is also an  
14 outrage that this takes place without the  
15 consideration of the students, without the  
16 consideration of the young population of Lexington.

17 Because contrary to popular belief, we  
18 do care about social issues and we are concerned  
19 about what happens to our environment.

20 We do plan on having children and I, for  
21 one, don't like the idea of garbage being burned in  
22 my backyard that my children my have to breathe  
23 several years down the road.

24 And I look at the flowchart over here

34

38/21

38/21  
(cont.)

39/11

**Comment No. 38**

**Issue Code: 21**

The public hearing dates, times, and locations were announced in the *Federal Register*, in local newspapers the *Winchester Sun* and *Lexington Herald-Leader*, and in public service announcement information made available to local media outlets. All requirements in state and federal laws, rules, and regulations regarding announcements for public hearings were satisfied or surpassed.

**Comment No. 39**

**Issue Code: 11**

No significant impacts to the general public's health and safety would be expected from the gasification of RDF. The proposed project is not an incinerator or conventional power plant burning coal or RDF. The gasifier operates as a completely enclosed pressurized system. Gasification occurs at high temperatures which ensures complete destruction of toxic organic compounds and incorporation of heavy metals in molten slag, recovered by quenching as a nonleachable glassy frit. Since gasification occurs in a carefully controlled environment, the process produces no air emissions. Furthermore, the high temperatures achieved during gasification from the use of oxygen instead of air prevent the formation of dioxins/furans. The resulting product of the gasification process is syngas, consisting mainly of CO and H<sub>2</sub>. Minor amounts of wastewater consisting primarily of salts are generated by the process. The wastewater would be treated and discharged to the Kentucky River in accordance with the KPDES permit. Sludge generated from the treatment process is expected to be nonhazardous.

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 35 of 44**

1 and I don't understand all the chemistry behind it,  
2 but sounds to me like burning garbage cannot be the  
3 cleanest possible alternative.

4           Furthermore, I would like to see maybe  
5 some more evidence that this power plant is really  
6 needed. Do we really have a demand for the  
7 electricity and if so, certainly can we please  
8 explore other options that take into account our  
9 fragile environment in Kentucky?

10           I think it is often taken for granted  
11 that the State of Kentucky is a very backwards  
12 place. That is something that we, as citizens of the  
13 Commonwealth have to share and have to change.

14           Building power plants near schools,  
15 power plants that threaten our fragile natural  
16 resources, does not tell the rest of the country that  
17 we are anything but backward, and only invites  
18 corporations and other states to come in and take  
19 advantage of us.

20           MR. SPEARS: Thank you very much,  
21 Ms. McKenzie.

22           That is all I have down on my list here  
23 for commenters. Does anyone else wish to make  
24 another comment?

35

**Comment No. 40** **Issue Code: 16**

Chapter 3 of the EIS explains the BGL gasification process. The RDF pellet and coal cofeed is heated in a carefully controlled, low oxygen environment, which causes a chemical conversion process that results in the formation of the syngas. The syngas product is combusted in the combined cycle turbines to produce electricity.

40/16

**Comment No. 41** **Issue Code: 14**

Chapter 2 of the EIS discusses EKPC's 1998 Power Requirements Study which indicates that the electrical load for the region is expected to increase by 3.0 percent per year through 2017. Net winter peak demand is expected to increase by 3.3 percent per year and net summer peak demand is expected to increase by 3.0 percent per year. Peak demand is expected to increase from 2,031 MW in 1998 to 2,394 MW in 2003 and 3,478 MW in 2015. Based on this load growth, EKPC will need additional power supply resources of 625 MW in 2003. The need is further shown by EKPC's plans to construct four new CT electric generating units to provide peaking service alongside their three existing peaker CTs at the J.K. Smith Site. The issue of alternative energy options is outside the scope of the EIS. The purpose of the CCT Program is to demonstrate technologies with the potential to provide cleaner and more efficient energy from coal resources.

41/14

42/22

**Comment No. 42** **Issue Code: 22**

Comment noted.

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 36 of 44**

1 Mr. Crewe?  
2 MR. CREWE: If you can bear with me, if  
3 I can make a few additional comments, I would  
4 appreciate it.  
5 Global Energy and Kentucky Pioneer and  
6 the authors of this Draft Environmental Impact  
7 Statement makes the claims that this process, or  
8 gasification of coal and natural waste, does not  
9 involve combustion. From my knowledge, that is a  
10 misleading statement.  
11 The temperature at the bottom of the  
12 combustor is 3,000 degrees fahrenheit, at the top it  
13 is 900 degrees fahrenheit. Fed in from the top are  
14 combustible material, coal and refuse-derived fuel  
15 pellets.  
16 Fed in at two places, at least,  
17 according to the flow chart on the opposite page of  
18 seven, is oxygen. By any reasonable definition,  
19 inductothermic reaction that occurs from 3,000 to 900  
20 degrees in the presence of oxygen combustible  
21 material is combustion.  
22 Which you know some combustion occurs in  
23 the presence of this drained and injected oxygen.  
24 And I believe it is a matter of public relations and

36

**Comment No. 43** **Issue Code: 16**

Chapter 3 of the EIS has been revised to expand the discussion of the BGL gasification process. RDF pellets and coal are heated in a carefully controlled, low oxygen environment, which causes a chemical conversion process and the chemical element for formation of the syngas.

43/16

43/16  
(cont.)

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 37 of 44**

1 not precision, to claim that this does not involve  
 2 combustion. I think this is more about public  
 3 relations. This does involve some combustion and it  
 4 involves burning garbage in Kentucky.  
 5       Also I am concerned about the  
 6 production, as the representative from the Kentucky  
 7 Environmental Foundation talked about, dioxins can be  
 8 produced under certain conditions.  
 9       There has been no specific information  
 10 furnished to us to dissuade our concerns, only maybe  
 11 general comments.  
 12       What assurance do we have that this  
 13 process will not produce dioxins? I am curious about  
 14 what the power plant will produce. What facility is  
 15 this scale, without having been done somewhere, so  
 16 that we know what the outcome is?  
 17       And what outcome shows that dioxins and  
 18 uraniums will not be produced? Will not, say, exit  
 19 in the slip stream from the gasification process and  
 20 there is an obvious influence.  
 21       And at some point in this statement, I  
 22 don't know the page right now, it says that they do  
 23 not know what the characteristics of the operation of  
 24 the plant will be. So that seems rather vague.

37

43/16  
(cont.)

44/06

44/06  
(cont.)

45/16

44/06  
(cont.)

46/16

**Comment No. 44** **Issue Code: 06**

The Final PSD/Title V Permit for the Kentucky Pioneer IGCC Demonstration Project sets a very low limit on allowable dioxin emissions (0.01 nanograms per dry standard cubic meter of stack exhaust gas). Compliance with this limit must be demonstrated by an initial source test at project startup and by annual source tests thereafter. Because the potential uranium content of fuel materials is so low, neither EPA nor the state require any specific monitoring for uranium.

Dioxin discharges are presented in Chapter 5 of the EIS, Table 5.7-4. The value given in this table overstates the actual emissions that will occur because it is the maximum limit established by the PSD/Title V Air Permit. No data is available for plant design to allow for modeling of actual dioxin emission rates, so the permit limit was used for the analysis.

**Comment No. 45** **Issue Code: 16**

An important consideration during site selection was to meet DOE's purpose for the proposed project to generate technical, environmental, and financial data from the design, construction, and operation of facilities at a sufficiently large enough scale to allow the power industry. Emissions and pollutants are discussed in Section 5.7, Air Resources, and 5.8, Water Resources and Water Quality, of the EIS.

**Comment No. 46** **Issue Code: 16**

KPE engineering and plant design are subject to international contractual secrecy agreements, and are therefore business confidential and not available. This project would be the first commercial-scale application of the cofeed BGL technology in the United States. Similar technology has also been used at the Schwarze Pumpe facility in Germany and the Westfield facility in the United Kingdom.

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 38 of 44**

1           What are the characteristics of a power  
2 plant stage, what has been done, I think it will be  
3 helpful to know how this plant will work. It does  
4 not appear in what I have been able to read about it  
5 so far.

6           Also, and this may be a complaint about  
7 the process and environmental law in general about  
8 other projects, I would have been very interested in  
9 knowing about the scoping meeting that occurred in  
10 May of 2000. I didn't know that. It was apparently  
11 published in an obscure section of the paper where  
12 things like this get publicized, but most people  
13 don't read that and don't know about that.

14           The process doesn't seem to be tailored  
15 to inform the broadest possible group of the public  
16 that would be concerned. I certainly would have been  
17 at a scoping meeting had I known that it was  
18 occurring.

19           There have been several fairly critical  
20 articles in the local newspaper here, The Herald  
21 Leader, but nothing that informed me that there was a  
22 scoping meeting held in May of 2000, I believe that  
23 is when it was. Because I certainly would have gone  
24 to that at that time had I known about it.

38

46/16  
(cont.)

47/21

**Comment No. 47**

**Issue Code: 21**

The date, time, and location of the May 2000 scoping meeting was announced in the *Federal Register*, in local newspapers the *Winchester Sun* and *Lexington Herald-Leader*, and in flyers distributed to the local community. Community groups and local elected officials are included on the project mailing list.

1           And I believe that is all I have to  
2 say. I will have some other things before the  
3 4th.  
4           MR. SPEARS: Thanks again, Mr. Crewe.  
5           Do I have anyone else?  
6           Yes, the gentleman in the back.  
7           MR. HERRICK: Thank you. My name is  
8 Will Herrick and I live on the north fork of the  
9 Kentucky River.  
10          MR. SPEARS: Can you repeat your name,  
11 so that our reporter --  
12          MR. HERRICK: Will Herrick.  
13 H-E-R-R-I-C-K.  
14          MR. SPEARS: Thank you.  
15          I live in Lee County, which puts me  
16 upstream and upwind.  
17          And having observed the other comments,  
18 I think that one of the questions that I was left  
19 with was a specific question about the Ph of the  
20 water being returned to the Kentucky River.  
21          There was discussion about particulate  
22 matter as it being used to scrub gases and to cool  
23 gases, manifestly is going to have some  
24 contamination. I would be very interested in

39

**Comment No. 48**

**Issue Code: 07**

The pH of the wastewater would be specified in the KDPES permit. Wastewater would be treated to adjust the pH so that it would fall within limits allowed in the KDPES permit.

**Comment No. 49**

**Issue Code: 06**

The suspended particulate matter contained in the gas stream from the gasification units would contain most of the metals and low volatility compounds emitted during the gasification process. The cooling of the gas stream produced by the gasification unit would cause condensation of low volatility compounds onto the particles already present, and would also cause much of the water vapor in the gas stream to condense on the suspended particulate matter. Gravitational settling would remove the condensed droplets and associated particulate matter, thus cleaning the gas before it is processed by the sulfur recovery facility.

| 48/07  
|  
| 49/06  
| 48/07  
| (cont.)

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 40 of 44**

1 characterizing that water.  
2 Kentucky River is in the State of  
3 Kentucky, there is three tiers of water quality, and  
4 it is pretty much a burden on the public to improve  
5 the quality of the water in this state.

6 It basically goes all the way to the  
7 bottom of that tier before the state will become  
8 involved. So it is up to the public, and perhaps the  
9 federal government, to help improve the quality of  
10 that water.

11 I am also particularly interested in the  
12 permitting events, and again, it is getting the feds  
13 to support the notion that this is a demonstration  
14 facility, and that the federal government has  
15 expressly said our interest here is in the  
16 demonstration of this, and it is clear from the  
17 documents and the air quality permit and other  
18 documents, that East Kentucky Power would very much  
19 like to keep rolling at the moment that demonstration  
20 part is done, under the same body of permits.

21 And it is something that I think  
22 everybody should stand up and know, this is a  
23 demonstration. It is there to demonstrate the  
24 technology, and at the end of the demonstration, we

40  
| 48/07  
(cont.)

**Comment No. 50** **Issue Code: 21**  
KPE has a contract in place with EKPC to provide power continuously for a 20-year period. The facility would not shut down after the 1-year demonstration period, but would continue to operate to honor the commitment to EKPC. There would not be a new round of permitting following the end of the 1-year demonstration period. The PSD/Title V Air Permit issued by the Kentucky Division of Air Quality is final and does not require renewal following the demonstration. At the close of the demonstration period, the KPDES permit for water usage would also be final and not require renewal. Any required fuel feed component changes following the 1-year demonstration period would likely require modification of the air and water permits.

50/21

50/21  
(cont.)



**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 41 of 44**

1 have a chance to review this, and it is a new round  
2 of permits and I would very much like the feds to  
3 stand up and join in that.

4 I guess I would just like to say that  
5 also there are bad economics for the public of  
6 Kentucky. It is irrefutable that no matter how you  
7 deal with the body of waste, whether it is  
8 atmospheric, put in the water, put in the ground, the  
9 majority of the waste product from this facility will  
10 be landfilled. And driving up the cost of landfills  
11 in Kentucky does not serve the public in Kentucky  
12 well.

13 So, again, there are considerations that  
14 I don't see being addressed to the virtue of the  
15 residents of Kentucky.

16 Manifestly, there are scarcities of air  
17 quality and there are comparative issues about what  
18 other industries may or may not be eliminated from  
19 siting in Kentucky because they are denied access to  
20 the quality air or the introduction to the quantity  
21 of pollutants. And that is a burden to the economic  
22 environment of Kentucky.

23 And particularly also the discovery of  
24 what is the toxicity of the frit resemble. Much of

41

50/21  
(cont.)

**Comment No. 51**

**Issue Code: 12**

The project produces primarily vitrified frit which is considered a commercial product, not a waste stream. The waste generated at the proposed facility that would be landfilled in the State of Kentucky would be solid waste. It is difficult to determine whether waste from this project would drive up the cost of landfilling. Landfill cost increases are dependent on a number of factors, not just the waste generated from this proposed facility.

51/12

**Comment No. 52**

**Issue Code: 02**

All waste streams (air, water, and solid) generated by the project would be in compliance with federal, state, and local guidelines and ordinances. The presence of the facility should have no impact on future siting decisions for other businesses or industries in Clark County or Kentucky. No burdens to the economic health of the region as a result of this project have been identified. According to the *Cumulative Assessment of the Environmental Impacts Caused by Kentucky Electric Generating Units* prepared by the Kentucky Natural Resources and Environmental Protection Cabinet, further electric generation capacity often facilitates the development of the area economy.

49/06  
(cont.)

**Comment No. 53**

**Issue Code: 12**

The constituents of the frit are immobilized in a glassy matrix making them nonleachable and resistant to corrosion in the environment. Analyses of the gasification process utilizing other feed stocks have found that the frit is nonhazardous and rarely fails the TCLP for metals. The frit from this facility is expected to not only pass the TCLP criteria but also the more rigorous TCLP Universal Treatment Standards criteria.

52/02

53/12

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 42 of 44**

1 that burden may, in fact, fall on the average  
2 Kentuckian.  
3       There are no guarantees from the federal  
4 government, or from anybody else, that should this  
5 prove to be -- that there, in fact, are definitive  
6 quantities of metals and leaching materials, that is  
7 anybody's burden but the county that signs the host  
8 agreement that accepts the waste from the landfill.

9       I would like to see that investigated  
10 much more thoroughly by the federal government as to  
11 what the true nature and outcome of long-term storage  
12 of frit under landfill-type conditions.

13       Thank you.

14       MR. SPEARS: Thank you very much for  
15 your comment.

16       Do we have anyone else that would like  
17 to make any additional comments.

18       I left this slide up intentionally so  
19 that perhaps this January 4, 2002, would jump out at  
20 you and you would be assured that the January 4 date  
21 of turning in your comments.

22       We really appreciate everyone being here  
23 tonight. I appreciate your interest in your local  
24 community and the technology that we hope to have in

53/12  
(cont.)

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 43 of 44**

1 this community at some point in time.  
2       With no one else desiring to comment, I  
3 am going to -- I am sorry, I thought we had one more  
4 commenter back there.  
5       With no other comment, I would like to  
6 for the record show that this public meeting ended at  
7 approximately 7:55 p.m., on the 10th day of  
8 December.  
9       We will be around after the meeting here  
10 if you would like to address any of those that I  
11 introduced a while ago, for points of clarification  
12 or whatever.  
13       So we would welcome your interaction  
14 with those folks that are here.  
15       Thank you very much.  
16       (Meeting adjourned.)  
17  
18  
19

**Public Comment Meeting**  
**December 10, 2001**  
**Lexington, KY**  
**Page 44 of 44**

1 STATE OF WEST VIRGINIA, To-wit:  
2 I, Michele G. Hankins, a Notary Public and  
3 Court Reporter within and for the State aforesaid, do  
4 hereby certify that the proceeding was taken by me  
5 and before me at the time and place specified in the  
6 caption hereof.

7 I do further certify that said proceeding was  
8 correctly taken by me in stenotype notes, that the  
9 same was accurately transcribed out in full and  
10 reduced to typewriting, and that said transcript is a  
11 true record of the testimony.

12 I further certify that I am neither attorney  
13 or counsel for, nor related to or employed by, any of  
14 the parties to the action in which these proceedings  
15 were had, and further I am not a relative or employee  
16 of any attorney or counsel employed by the parties  
17 hereto or financially interested in the action.

18 My commission expires the 29th day of December  
19 2003.

20 Given under my hand and seal this 7th day of  
21 January 2002.

22

-----

23 Michele G. Hankins  
Notary Public  
24 Court Reporter