

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

COMMONWEALTH OF KENTUCKY  
BEFORE THE  
PUBLIC SERVICE COMMISSION OF KENTUCKY

In The Matter Of:

AN EXAMINATION OF THE APPLICATION)  
OF THE FUEL ADJUSTMENT CLAUSE OF )  
KENTUCKY POWER COMPANY FROM ) CASE NO. 2014-00225  
NOVEMBER 1, 2013 THROUGH )  
APRIL 30, 2104 )

ORIGINAL

\* \* \*

Transcript of November 12, 2014, hearing  
before David L. Armstrong, Chairman; James W.  
Gardner, Vice-Chairman; and Linda Breathitt,  
Commissioner, at the Kentucky Public Service  
Commission, 211 Sower Boulevard, Frankfort, Kentucky  
40602-0615.

LAURA J. KOGUT, RMR, CRR, KY CCR  
JENNIFER R. JANES, RPR, CRR  
McLendon-Kogut Reporting Service, LLC  
310 West Liberty Street, Suite 200  
Louisville, Kentucky 40202-3014  
(502) 585-5634  
lkogut@mclendon-kogut.com  
jjanes@mclendon-kogut.com  
www.mclendon-kogut.com

C O N T E N T S

1		<u>Page</u>
2	Appearances	4
3		
4	Preliminary Matters	6
5		
6	Call for Public Comment	8
7	Panel Testimony of CHARLES WEST, JOHN	
8	ROGNESS, DON MOYER, AND AARON SINK	
9	Direct Examination by Mr. Overstreet	9
10	Cross-Examination by Mr. Pinney	11
11	Redirect Examination by Mr. Overstreet	25
12		
13	Testimony of RANIE K. WOHNHAS	
14	Direct Examination by Mr. Overstreet	29
15	Cross-Examination by Mr. Kurtz	30
16	Cross-Examination by Mr. Cook	85
17	Cross-Examination by Mr. Raff	85
18	Further Cross-Examination by Mr. Raff	105
19	Examination by Commissioner Breathitt	107
20	Examination by Vice-Chair Gardner	110
21	Reexamination by Commissioner Breathitt	118
22	Redirect Examination by Mr. Overstreet	119
23	Recross-Examination by Mr. Cook	126
24	Recross-Examination by Mr. Raff	129
25	Redirect Examination by Mr. Overstreet	131
	Testimony of KELLY DOUGLAS PEARCE	
	Direct Examination by Mr. Gish	133
	Cross-Examination by Mr. Kurtz	133
	Cross-Examination by Mr. Raff	152
	Examination by Vice-Chair Gardner	172
	Redirect Examination by Mr. Gish	183
	Recross Examination by Mr. Kurtz	186
	Recross-Examination by Mr. Raff	198
	Examination by Commissioner Breathitt	201
	Testimony of WILLIAM A. ALLEN	
	Direct Examination by Mr. Gish	205
	Cross-Examination by Mr. Raff	206
	Examination by Vice-Chairman Gardner	213
	Recross-Examination by Mr. Raff	217



## APPEARANCES

1  
2  
3 FOR KENTUCKY POWER COMPANY:  
4 Mr. Mark R. Overstreet  
5 Stites & Harbison PLLC  
6 421 West Main Street  
7 P.O. Box 634  
8 Frankfort, Kentucky 40602-0634  
9 (502) 223-3477  
10 moverstreet@stites.com

11 and

12 Mr. Kenneth J. Gish, Jr.  
13 Stites & Harbison PLLC  
14 250 West Main Street, Suite 2300  
15 Lexington, Kentucky 40507-1758  
16 (859) 226-2300  
17 kgish@stites.com

18 FOR KENTUCKY ATTORNEY GENERAL:  
19 Mr. Lawrence W. Cook  
20 Ms. Jennifer Black Hans  
21 Mr. Gregory T. Dutton  
22 Commonwealth of Kentucky  
23 Office of the Attorney General  
24 Office of Rate Intervention  
25 1024 Capital Center Drive, Suite 200  
Frankfort, Kentucky 40601  
(502) 696-5453  
larry.cook@ag.ky.gov  
jennifer.hans@ag.ky.gov

FOR KENTUCKY INDUSTRIAL UTILITY CUSTOMERS, INC.:  
Mr. Michael L. Kurtz  
Mr. Kurt J. Boehm  
Ms. Jody Kyler Cohn  
Boehm, Kurtz & Lowry  
1510 URS Center  
36 East Seventh Street  
Cincinnati, Ohio 45202  
(513) 421-2255  
mkurtz@BKLLawfirm.com  
kboehm@BKLLawfirm.com  
jkyler@BKLLawfirm.com

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES  
(Continued)

FOR KENTUCKY PUBLIC SERVICE COMMISSION:

Mr. J.E.B. Pinney  
Mr. Richard Raff  
Mr. Quang D. Nguyen  
211 Sower Boulevard  
P.O. Box 615  
Frankfort, Kentucky 40602  
(502) 564-39404  
jeb.pinney@ky.gov  
richard.raff@ky.gov  
QuangD.Nguyen@ky.gov

ALSO PRESENT FROM DIVISION OF FINANCIAL ANALYSIS:

Ms. Chris Whelan  
Mr. Matthew Baer  
Ms. Leah Faulkner

\* \* \*

1           VICE-CHAIR GARDNER: We're on the record.  
2           This is Case Number 2014-00225. By agreement, we're  
3           going to do the first part of the case just as we do  
4           all FAC cases, so we're swearing in folks as a  
5           panel, and so let's have appearances of counsel,  
6           please.

7           Mr. Overstreet.

8           MR. OVERSTREET: Thank you, Mr. Vice-Chairman.  
9           My name is Mark Overstreet with the law firm of  
10          Stites & Harbison, 421 West Main Street, Frankfort,  
11          Kentucky 40601. Appearing with me here today but  
12          not in connection with the panel is Kenneth Gish,  
13          Stites & Harbison, 250 West Main Street, Suite 2300,  
14          Lexington, Kentucky 40507.

15          VICE-CHAIR GARDNER: Thank you.

16          General.

17          MR. COOK: Good afternoon. On behalf of the  
18          Attorney General, Lawrence Cook. My cocounsel,  
19          Jennifer Hans and Greg Dutton, 1024 Capital Center  
20          Drive, Frankfort, Kentucky.

21          VICE-CHAIR GARDNER: Mr. Kurtz.

22          MR. KURTZ: Your Honor, for KIUC, Mike Kurtz,  
23          Kurt Boehm, Jody Cohn, Boehm, Kurtz & Lowry, 1510  
24          URS Center, Cincinnati, Ohio. KIUC participating  
25          members in this particular intervention are Marathon

1 Ashland, AK Steel, Air Products, EQT Natural Gas.  
2 I'm drawing a -- I believe that's -- that's -- and  
3 maybe perhaps -- and Air Liquide I think as well.  
4 Thank you.

5 VICE-CHAIR GARDNER: Thank you.

6 MR. PINNEY: On behalf of the Commission,  
7 J.E.B. Pinney, Richard Raff, Quang Nguyen from the  
8 Office of General Counsel. Also Chris Whelan,  
9 Matthew Baer, and Leah Faulkner from the  
10 Department -- Division of Financial Analysis.

11 VICE-CHAIR GARDNER: Thank you. Has notice  
12 been given?

13 MR. OVERSTREET: Yes, Your Honor, notice has  
14 been given. It was filed of record on November 5th.

15 VICE-CHAIR GARDNER: Okay. Great. Thank  
16 you. Are there any pending motions?

17 MR. OVERSTREET: Yes, Your Honor. In  
18 addition to several motions for confidential  
19 treatment, Kentucky Power, in accordance with the  
20 Commission's regulation, has requested leave for --  
21 to have the proceeding stenographically transcribed,  
22 and the Commission hasn't had an opportunity to rule  
23 on that motion yet, so I spoke with Mr. Pinney  
24 before the hearing began and he said I would not be  
25 presuming to have Ms. Kogut appear and transcribe

1 the proceedings even though the Commission has not  
2 had a chance to rule yet.

3 VICE-CHAIR GARDNER: Okay.

4 MR. COOK: No objection to that motion.

5 VICE-CHAIR GARDNER: Any objection?

6 Okay. We'll go ahead and grant your motion  
7 for that.

8 MR. OVERSTREET: Thank you.

9 VICE-CHAIR GARDNER: Sure. Anything else?

10 MR. OVERSTREET: That's all we have pending,  
11 Your Honor.

12 VICE-CHAIR GARDNER: Okay. This time is for  
13 public comment. Again, this is Case Number  
14 2014-225, Fuel Adjustment Clause proceeding for  
15 Kentucky Power. Is there any member of the public  
16 who would like to be heard?

17 Seeing none, Mr. Overstreet call your first  
18 witness.

19 MR. OVERSTREET: Thank you, Mr. Vice-Chairman.

20 Appearing today as part of the panel, to my  
21 immediate right is Charles West. To my immediate  
22 left is John Rogness. To his left is Dan Moyer, and  
23 to his left is Aaron Sink. Mr. Sink is the plant  
24 manager of the Big Sandy plant, Mr. Moyer is the  
25 plant manager of the Mitchell plant, Mr. Rogness is

1 with Kentucky Power, and then Mr. West is with the  
2 Service Corp. and he handles fuel procurement.

3 VICE-CHAIR GARDNER: Thank you. Each of  
4 you-all who are going to testify if you would stand  
5 and raise your right hand, please.

6 \* \* \*

7 CHARLES WEST, JOHN ROGNESS, DON MOYER, AND  
8 AARON SINK, called by Kentucky Power, having been  
9 first duly sworn as a panel, testified as follows:

10 DIRECT EXAMINATION

11 By Mr. Overstreet:

12 Q. Mr. West, did you cause to be filed in the  
13 record of this proceeding certain responses to data  
14 requests?

15 MR. WEST: I did.

16 Q. And do you have any corrections or changes to  
17 those responses?

18 MR. WEST: No, I do not.

19 Q. And if you were asked those questions today,  
20 would your answers be the same?

21 MR. WEST: They would.

22 Q. And, Mr. Rogness, did you cause to be filed  
23 in the record of this proceeding certain responses  
24 to data requests?

25 MR. ROGNESS: I did.

1 Q. Have you had any change -- corrections or  
2 changes to those responses?

3 MR. ROGNESS: I do not.

4 Q. Mr. Moyer, did you cause to be filed in the  
5 record of this proceeding certain responses to data  
6 requests?

7 MR. MOYER: I did.

8 Q. And do you have any corrections or changes?

9 MR. MOYER: No, I do not.

10 Q. And if you were asked those same questions  
11 here today, would your answers be the same?

12 MR. MOYER: Yes, they would.

13 Q. And, Mr. Sink, did you cause to be filed in  
14 the record of this proceeding certain responses to  
15 data requests?

16 MR. SINK: I did.

17 Q. And do you have any corrections or changes?

18 MR. SINK: No, sir.

19 Q. And if asked the same questions, would your  
20 answers be the same?

21 MR. SINK: Yes, they would.

22 MR. OVERSTREET: Witnesses are available for  
23 cross-examination.

24 VICE-CHAIR GARDNER: Okay.

25 MR. COOK: Your Honor, if I would, by

1 agreement of counsel, we are going to allow KIUC to  
2 proceed first.

3 MR. KURTZ: No questions for the panel.

4 MR. COOK: No questions.

5 CROSS-EXAMINATION

6 By Mr. Pinney:

7 Q. Good afternoon.

8 MR. WEST: Good afternoon.

9 Q. Please refer to the response to Item 1 of the  
10 first Commission Staff data request. And in  
11 Kentucky Power's two previous FAC cases, which were  
12 cases 2013-444 and 2013-261, there were no spot  
13 purchases shown, but in response to Item 1 of the  
14 first data request, it shows that there are  
15 79 percent contract purchases and 21 percent spot  
16 purchases.

17 Now, is the increase in spot purchases due to  
18 the upcoming retirement of Big Sandy Unit 1 -- or 2  
19 and the conversion of 1?

20 MR. WEST: In -- yes, in general. One, with  
21 Mitchell now on board, we tend to do a few more spot  
22 purchases on the Mitchell side than we did at Big  
23 Sandy, but even at Big Sandy, the burn there is --  
24 over time we have found that the burn has been very  
25 unpredictable, and so we tend to buy to the low end

1 to where we think the burn is going to be with  
2 either longer term or at least one-year deals or  
3 longer, and then we fill in with spot purchases as  
4 the burn actually takes place. And we saw that  
5 definitely in 2014, where we were projecting a much  
6 lower forecast burn at the start of the year than  
7 what we actually ended up getting.

8 MR. OVERSTREET: Mr. Pinney, may I interrupt  
9 to remind the witnesses to identify themselves --

10 MR. WEST: Oh.

11 MR. OVERSTREET: -- when they speak --

12 MR. WEST: I apologize.

13 MR. OVERSTREET: -- as a member of the panel.

14 MR. WEST: Thank you.

15 Q. Okay. Then I draw your attention to the  
16 response to Item 8, the first data request. And  
17 page 1 of 3, the Ohio Valley Resources contract.  
18 The response shows that the term of this contract is  
19 January 1, 2007, to December 31st, 2021, but the  
20 information you provided is only for 2014. So is  
21 the reason the information for years 2007 through  
22 2013 not -- the reason it's not shown is because the  
23 contract is for the Mitchell Station?

24 MR. WEST: That contract -- well, Chuck West,  
25 or Charles West responding.

1           That contract is for the Mitchell Station.

2           Q.       And it shows that Kentucky Power has only  
3           received 16 percent of the annual requirements under  
4           the contract for 2014.  What is the status of this  
5           contract?

6           MR. WEST:  And Charles West responding.

7           That contract -- we are a little behind on  
8           that contract as of today's date, and -- but we plan  
9           to carry over a significant amount of tonnage into  
10          next year, probably up to 400,000 tons.

11          Q.       Okay.  The first -- the same response, but  
12          page 3 of 3.  And referring to the first Southern  
13          Coal Sales contract, the response says only  
14          49 percent of the annual requirements were received  
15          in 2013.

16          Does Kentucky Power expect to make up the  
17          shortfall?

18          MR. WEST:  Charles West responding.

19          We did provide -- you -- I'm sorry.  You said  
20          the 2 -- you were talking about the 2013 tonnage  
21          of --

22          Q.       Right.  Only 49 percent --

23          MR. WEST:  Yeah.

24          Q.       -- was met.

25          MR. WEST:  We did allow -- provide Southern

1 with the opportunity to make up as much of those  
2 tons as they could in -- during the year. We don't  
3 think they're going to get it all made up, but we  
4 gave them the opportunity to.

5 Q. Okay. And that shortage didn't lead to any  
6 operational difficulties or shortfalls, did it?

7 MR. WEST: Charles West responding.

8 No, we were able to fill in with spot  
9 purchases.

10 Q. Okay. And please refer to the response --  
11 and to follow up, you said you made -- you had spot  
12 purchases to make up for the shortfall in the  
13 contract purchases.

14 Were the prices for the spot purchases more  
15 than what the contract purchase price would have  
16 been?

17 MR. WEST: Charles West responding.

18 Yes, the price of the spot coal is actually  
19 lower than the -- than the contract. The price has  
20 gone down over the last year, so --

21 Q. All right. Now take -- please take a look at  
22 the response to Item Number 9 of the first data  
23 request, page 2 of 2. And the response states that  
24 in comparison, in the table at the bottom of the  
25 page, "Kentucky Power has the second lowest fuel

1 costs for the review period."

2           However, taking a look at the table,  
3 Kentucky -- is there a utility missing from the  
4 comparison or should the responses say that Kentucky  
5 Power had the lowest fuel costs in comparison for  
6 the review period?

7           MR. WEST: I'm not -- could you restate that?  
8 I missed the utilities -- is there a utility  
9 missing, you asked?

10          Q.       Well, there is -- it says, "In this  
11 comparison, Kentucky Power has the second lowest  
12 fuel costs for the review period on" -- compared to,  
13 I think -- on a cents per million British Thermal  
14 Units basis.

15           MR. WEST: Correct.

16          Q.       You have the table at the top and the table  
17 at the bottom. And is there a utility missing from  
18 the comparison or should the responses state that  
19 Kentucky has the lowest fuel cost in comparison for  
20 the review period?

21           MR. WEST: Okay. So I'm little a confused.  
22 I show AEP Generation Resources at the bottom as the  
23 lowest cost.

24           MR. OVERSTREET: May I show him the response,  
25 Mr. Pinney?

1 Q. It's -- I do not show a --

2 MR. OVERSTREET: Yeah, that's why I wanted to  
3 show him the response.

4 MR. PINNEY: Okay. Yes, please. Sorry.

5 MR. WEST: Okay. I have -- yes, there is  
6 a -- I guess a utility got dropped off in the -- in  
7 the -- my table shows AEP Generation Resources as  
8 the bottom utility, with a cost of 262.12.

9 MR. PINNEY: Would you-all be able to provide  
10 that post hearing?

11 MR. OVERSTREET: Absolutely. And I  
12 apologize.

13 MR. PINNEY: All right. Thank you.

14 Q. All right. Please refer to the response to  
15 Item 11 of the first data request, and specifically  
16 11 b., page 2 of 2. And there the Mitchell plant is  
17 shown as having 155,840 tons of high-sulfur coal and  
18 243,973 tons of low-sulfur coal.

19 Can you confirm that these totals are for the  
20 Mitchell plant as a whole and not Kentucky Power's  
21 share of the coal?

22 MR. WEST: Charles West responding.

23 That's correct. It's for the Mitchell. We  
24 track the inventory for the whole plant.

25 Q. And then same response, same page, but

1 subsection c. The response shows a target inventory  
2 of 15 days for Mitchell high-sulfur coal, but  
3 30 days for Mitchell low-sulfur coal.

4 Can you explain why there are different  
5 target inventory dates based on the fuel type?

6 MR. WEST: Inventory -- yes. Charles West  
7 responding.

8 The target inventory days were established by  
9 our FSTG Committee, which looks at all the different  
10 types of coal we take into each plant, what the  
11 potential delays are, you know, the supply delays  
12 and transportation delays, and takes that all into  
13 contract when they determine the target inventory  
14 for each one of the -- one of the coal piles.

15 The high-sulfur pile itself, the mine is  
16 right next to the plant and the coal is just  
17 conveyored, is shipped over on a conveyor belt from  
18 the mine directly into the plant, so it's a very  
19 reliable source, and as a backup, if anything does  
20 happen to the mine or the conveyor belt, we can  
21 always bring in barge coal when we need to. So the  
22 reliability of that supply is very, very high,  
23 because there's a lot of -- even though the one mine  
24 right next door could have a problem, there are  
25 about four or five mines right in the area that we

1 can take coal from, even under the same contract,  
2 because they are all owned by the same supplier.

3 Low-sulfur coal, of course, most of it comes  
4 off either Kanawha River or the Big Sandy River, and  
5 you have a lot more potential transportation  
6 problems, as we saw earlier this year, in the --  
7 during the cold weather in the first three months of  
8 the year. I won't call it a polar vortex, I think  
9 that one's -- but the first three months of the year  
10 we had a lot of transportation problems getting the  
11 low-sulfur coal up to the Kanawha River and up to  
12 that section of the river, so the supply has a lot  
13 more potential disruptions. That's why it has a  
14 much higher target inventory level.

15 Q. In Case Number 2013-430 the Commission  
16 approved Kentucky Power's request to convert Big  
17 Sandy Unit 1 to a natural gas-fired facility.

18 What -- can you give us an update on the  
19 status of the project and expected completion date.

20 MR. WEST: Aaron, do you want to give that?

21 MR. SINK: Yes, sir. Aaron Sink responding.

22 The project is currently in the engineering  
23 and design phase with a scheduled completion of  
24 May 31st, 2016.

25 Q. Okay. And still referring to the response to

1 the Commission's first data request, but item 20.  
2 The response states that the reason Oral  
3 Solicitation Number 2 was not written was because,  
4 and I quote, "Rail was unavailable at the time, so  
5 all suppliers who were known to have crushed coal  
6 deliverable by truck were solicited," end quote.

7 Kentucky Power was asked in its last FAC  
8 hearing whether it receives coal deliveries by rail  
9 at Big Sandy. The response was that it did not  
10 receive coal by rail in 2013 and there was some work  
11 needed on the rail line.

12 When this response states that rail was  
13 unavailable, does it mean that that work at the Big  
14 Sandy plant that was needed to repair it and that  
15 was referenced in the last FAC hearing had not been  
16 performed?

17 MR. WEST: That's correct. The rail -- there  
18 was pretty minor repair needed on the rail. We had  
19 a set of cars there at the time that we could  
20 have -- we could have gotten moved, but the reality  
21 was the price of rail coal was really out of the  
22 money at the time, so until -- what we did is, until  
23 rail coal got low enough that it was a player into  
24 the plant and the cost would be lower than the truck  
25 coal, we didn't -- we didn't bother doing any of the

1 repair work on the tracks. Since then we've  
2 actually gone and repaired the tracks and have taken  
3 some rail coal in there.

4 Q. And I think I can ask this following question  
5 without having to go into confidential session, but  
6 refer -- I want to refer to the confidential  
7 response to this question, Attachments 1 and 2.  
8 Attachment 1 shows the bid analysis for coal for the  
9 Mitchell Station and attachment shows shows --  
10 Attachment 2 shows the bid analysis for coal for Big  
11 Sandy. Is that correct?

12 MR. WEST: Yes, that's -- Charles West  
13 responding.

14 That is correct.

15 Q. And if that is the case, the response shows  
16 that the coal solicited for the Big Sandy station  
17 was cheaper than that for the Mitchell Station. And  
18 is it unusual for the Big Sandy coal to be cheaper  
19 than the Mitchell's -- Mitchell coal?

20 MR. WEST: Charles West responding.

21 It's not necessarily unusual. They both --  
22 it's both very similar types of coal. We request --  
23 coal into the Big Sandy plant is obviously trucked  
24 in, and it's priced off the same general index that  
25 the Mitchell low-sulfur coal is priced off. That --

1 the low-sulfur coal, though, has to have barges or  
2 it has to be barged from Kanawha River all the way  
3 up the Ohio River, so your transportation rate is  
4 typically a little higher than the trucked coal down  
5 at Big Sandy.

6 Q. And then skipping back, referring to the  
7 response to Item 4, the Commission Staff's first  
8 data request, and that show -- the response shows  
9 the capacity factor of 65.04 percent for the  
10 Mitchell Station from January through April of 2014.

11 Is that capacity factor typical for the  
12 Mitchell Station?

13 MR. MOYER: This is Dan Moyer responding for  
14 that.

15 It's typical to the low side. It would  
16 generally be just a little higher than that.

17 Q. Okay. And then why? Why would it be  
18 typically higher?

19 MR. MOYER: We had a number of outages  
20 through that period that would have driven that down  
21 for the capacity factor with -- and I think they  
22 were all in the reporting as well.

23 Q. Okay. Were they more forced or planned  
24 outages?

25 MR. MOYER: Forced.

1 Q. Okay. Please refer to Item 7 of the same  
2 response to the data requests, and I am looking at  
3 page 1 of 4. That shows that Big Sandy Unit 1  
4 experienced a planned outage in November lasting  
5 three weeks for repair of the boiler and  
6 precipitator. The following April the same unit  
7 experienced a forced outage lasting almost two weeks  
8 and was listed for the same repair.

9 What was the issue in April, and was it  
10 related to something that was not repaired during  
11 the November outage?

12 MR. SINK: Aaron Sink responding.

13 It was just a continuation of the same  
14 repairs that were made in the November outage,  
15 nothing that was unresolved from that first outage  
16 in November.

17 Q. Okay. And then refer to page 3 of 4 of the  
18 same response. There are several outages shown as  
19 LP turbine bearing vibration for Mitchell Unit 1.  
20 In February there was a 384 planned outage -- hour  
21 planned outage for turbine bearing inspection and  
22 repair.

23 Did this repair fix the problem or have there  
24 been other bearing vibration problems since the  
25 repair?

1 MR. MOYER: This is Dan Moyer responding,  
2 first.

3 Yes, it did fix the problem, and it's been  
4 repaired since then completed.

5 Q. So now I ask to turn to Kentucky Power's  
6 responses to Commission Staff's third data request,  
7 and particularly the response to 1 c.

8 The response states, "Upon review and  
9 analysis the Company agrees that its earlier  
10 understanding of the EKPC Orders referenced in  
11 subpart (a) was mistaken."

12 So, given this statement, does Kentucky Power  
13 believe that \$83,721 in purchased power costs should  
14 be disallowed for the period under review as this  
15 was the total that was identified by Kentucky Power  
16 in response to Item 8 b. (3) of this -- to the  
17 response to the third data request, meaning that  
18 that amount exceeded the amount of what had been  
19 recovered using the equivalent peaking unit method?

20 MR. ROGNESS: This is John Rogness.

21 Yes.

22 Q. And given that Kentucky Power now agrees that  
23 its understanding of the EKPC Orders referenced in  
24 subpart (a) was mistaken, is Kentucky Power  
25 currently limiting recovery of its purchased power

1 costs through its FAC using the equivalent peaking  
2 unit method when it experienced a planned outage or  
3 is it not experiencing an outage -- if not  
4 experiencing an outage but must purchase power to  
5 meet the load?

6 MR. ROGNESS: We are performing the tests on  
7 all purchases to make sure that the economic -- the  
8 true economic cost is passed on to our customers.

9 Q. Using the peak -- peak equivalent?

10 MR. ROGNESS: Yes.

11 Q. Okay. So when did Kentucky Power begin doing  
12 this?

13 MR. ROGNESS: When we realized that our  
14 understanding of the orders was incorrect. So we  
15 performed the test on the six-month test period, and  
16 that's where --

17 Q. This six-month test period?

18 MR. ROGNESS: Yes.

19 Q. Okay.

20 MR. ROGNESS: But then we've also gone back  
21 and checked the previous two six-month periods, and  
22 in those two instances the purchased power cost was  
23 less than the peaking unit equivalent cost.

24 Q. Okay. Just to be a little more specific, you  
25 say you're currently using or Kentucky Power is

1 currently using the peaking unit method. Was it as  
2 of the six -- six-month period when it began or when  
3 the response to the data request was filed?

4 MR. ROGNESS: Well, before we filed the  
5 response, when we realized that our interpretation  
6 of the orders was incorrect, then we went back and  
7 we performed the analysis.

8 Q. So after the response to the second data  
9 request and before the third? Okay.

10 MR. ROGNESS: Yes.

11 MR. PINNEY: All right. No further questions  
12 for the panel.

13 VICE-CHAIR GARDNER: Any redirect?

14 MR. OVERSTREET: I just have one question for  
15 Mr. West.

16 REDIRECT EXAMINATION

17 By Mr. Overstreet:

18 Q. Mr. West, the -- and I apologize, it got away  
19 from me, but you have a response in there where you  
20 list the contracts for -- that Kentucky Power  
21 currently contracts for the purchase of coal that  
22 Kentucky Power currently has outstanding?

23 MR. WEST: Uh-huh.

24 Q. Could you identify for the Commission which  
25 of those contracts is supplying coal to the Mitchell

1 Station?

2 MR. WEST: Just the contracts, not the spot  
3 purchases you're talking about?

4 Q. Just the contracts, yes.

5 MR. WEST: Okay. So the -- if you look at  
6 the one, two, three, four, five contracts, the Ohio  
7 Valley Resources is the -- on that list is the only  
8 one supplying coal to the Mitchell Station during  
9 this time.

10 I'm trying to find -- there was also a second  
11 Southern Coal Sales agreement that we had some  
12 carryover on, about 40,000 tons of carryover.

13 Q. Is one of the two Southern Coal Sales  
14 contracts supplying to Mitchell?

15 MR. WEST: Yes.

16 Q. And that coal is coming out of -- at least in  
17 part, coming out of Kentucky?

18 MR. WEST: Yes.

19 Q. And then the S. M. & J, you have two  
20 contracts?

21 MR. WEST: Oh, I'm sorry. Yes. The  
22 S. M. & J -- hang on. The second of the S. M. & J  
23 contracts that's FOB barge is coming out of  
24 Kentucky, and it's also a Mitchell contract.

25 Q. Okay. So you have two contracts for coal

1 going into Mitchell?

2 MR. WEST: Well, that S. M. & J contract was  
3 just some carryover.

4 Q. Right.

5 MR. WEST: It's no longer --

6 Q. I understand. It's just some carryover, but  
7 it --

8 MR. WEST: Right.

9 MR. OVERSTREET: -- but that coal was coming  
10 out of Kentucky --

11 MR. WEST: Yes.

12 Q. -- and it went to Mitchell?

13 MR. WEST: Yes.

14 MR. OVERSTREET: That's all I have.

15 VICE-CHAIR GARDNER: Mr. Kurtz.

16 MR. KURTZ: Oh, nothing, Your Honor. No  
17 questions.

18 MR. COOK: Nothing, Your Honor.

19 MR. PINNEY: We're finished.

20 VICE-CHAIR GARDNER: Okay. Were there any  
21 post-hearing data requests?

22 MR. OVERSTREET: Yes, Your Honor. We were  
23 going to correct the response to the one data  
24 request that left off one of the --

25 VICE-CHAIR GARDNER: Right. Right.

1 MR. OVERSTREET: -- utility comparisons, and  
2 we'll -- we should be able to get that in seven  
3 days.

4 VICE-CHAIR GARDNER: Okay. Sounds good. Any  
5 other matter?

6 MR. OVERSTREET: Not for these witnesses,  
7 Your Honor.

8 VICE-CHAIR GARDNER: Okay. So these  
9 witnesses are free to go; is that right?

10 MR. KURTZ: Yes.

11 VICE-CHAIR GARDNER: These witnesses are free  
12 to go, so we'll just keep going.

13 MR. OVERSTREET: Thank you.

14 VICE-CHAIR GARDNER: While they are leaving,  
15 let me just make sure that there's no one here in  
16 any of the EKPC distribution co-op cases. The  
17 hearings were canceled; is that right?

18 (Mr. Pinney nodded head.)

19 VICE-CHAIR GARDNER: Okay. Just want to make  
20 sure no one is here.

21 And no one is here in any of the Big Rivers  
22 distribution co-op cases?

23 Okay. So I don't know that we start all  
24 over, I think you just call your --

25 MR. OVERSTREET: Next witness?

1 VICE-CHAIR GARDNER: -- next witness.

2 MR. OVERSTREET: Thank you. We would call,  
3 Your Honor, Ranie K. Wohnhas.

4 \* \* \*

5 RANIE K. WOHNHAS, called by Kentucky Power  
6 Company, having been first duly sworn, testified as  
7 follows:

8 VICE-CHAIR GARDNER: Please have a seat.  
9 Please state your full name, please.

10 THE WITNESS: Ranie K. Wohnhas.

11 VICE-CHAIR GARDNER: And what is your  
12 position with the -- with Kentucky Power, please?

13 THE WITNESS: I'm the managing director of  
14 regulatory and finance for Kentucky Power.

15 VICE-CHAIR GARDNER: All right. How long  
16 have you had that position?

17 THE WITNESS: Since 2010.

18 VICE-CHAIR GARDNER: And what is your  
19 address, please?

20 THE WITNESS: 101-A Enterprise Drive,  
21 Frankfort, Kentucky 40602.

22 VICE-CHAIR GARDNER: You may ask.

23 DIRECT EXAMINATION

24 By Mr. Overstreet:

25 Q. Mr. Wohnhas, did you cause to be filed in

1 this proceeding certain responses to data requests  
2 and prefiled testimony?

3 A. I did.

4 Q. And do you have any corrections or changes to  
5 either the data request responses or the prefiled  
6 testimony?

7 A. I do not.

8 Q. And if you were asked those same questions  
9 here today, would your responses be the same?

10 A. They would.

11 MR. OVERSTREET: The witness is available.

12 VICE-CHAIR GARDNER: Mr. Kurtz.

13 MR. KURTZ: Thank you, Your Honor.

14 CROSS-EXAMINATION

15 By Mr. Kurtz:

16 Q. Good afternoon, Mr. Wohnhas.

17 A. Good afternoon.

18 Q. Okay. A little bit of background. January  
19 1, 2014, ushered in a sort of a new era for Kentucky  
20 Power in that the interconnection agreement  
21 terminated at that point?

22 A. It did terminate at that point.

23 Q. Okay. Kentucky Power -- the interconnection  
24 agreement had governed the operations between  
25 Kentucky Power, Ohio Power, Indiana & Michigan,

1 Appalachian Power, and Columbus and Southern since  
2 the early 1950s?

3 A. Sometime about then, and then it had been  
4 revised that Columbus Southern and Ohio Power had  
5 merged at a point in time and it was just four  
6 members.

7 Q. Now, beginning January 1, 2014, Kentucky  
8 Power operates as a stand-alone utility,  
9 essentially, under the loose power pooling agreement  
10 that -- what do we call the new one? The power  
11 share?

12 A. P --

13 Q. What is the new one?

14 A. PSA.

15 Q. PSA. But in other -- but it doesn't have the  
16 same sort of tight interconnection and cost sharing  
17 of the --

18 A. Absolutely. It's nothing like the pool.  
19 It's not a pool arrangement.

20 Q. Okay. Under the old pool agreement, the  
21 deficit companies made capacity equalization  
22 payments to the surplus companies, correct?

23 A. That is correct.

24 Q. And Kentucky Power was a deficit company, so  
25 you were paying capacity equalization payments?

1 A. That is correct.

2 Q. And among other things, the payment of  
3 capacity equalization payments entitled you to --  
4 entitled the companies to have first call on the  
5 excess generation of your affiliates at cost?

6 A. We were able to go to the pool, and when we  
7 were short, to be able to have power come from the  
8 pool most of the time.

9 Q. And one of the reasons you've identified, I  
10 think, that the fuel adjustment has gone up is  
11 because being able to buy from an affiliate at cost  
12 is no longer there; is that correct?

13 A. It was a piece of the puzzle in the fact that  
14 because of the pool, the pool was -- especially when  
15 the Cook Nuclear Plant was running as far as the mix  
16 from the pool, it was almost consistently cheaper  
17 than going to any market.

18 Q. And, of course, I&M had first call to the  
19 Cook Nuclear generation, did it not?

20 A. Sure.

21 Q. Yeah. Okay. But the capacity equalization  
22 payments are still embedded in base rates, correct?

23 A. Yes.

24 Q. Okay. Now, let's go through how the energy  
25 flowed under the old pool agreement. First of all,

1 Kentucky Power, like all the other operating  
2 companies, had first call to your generation to  
3 serve your native load; is that correct?

4 A. Would you say it again?

5 Q. You --

6 A. I'm sorry.

7 Q. You had first call for Big Sandy 1, Big Sandy  
8 2, and Rockport to serve your native load first?

9 A. Yes.

10 Q. Okay. And same with the other companies,  
11 Ohio Power, I&M, they serve their native load first  
12 out of their generation?

13 A. That's correct.

14 Q. Okay. When you had or anybody had extra  
15 power, you -- the affiliates were able to buy it at  
16 cost?

17 A. At the average cost of the surplus, yes.

18 Q. Okay. And whatever power was left over after  
19 all that was sold off system?

20 A. Could be sold off system, yes.

21 Q. And each of the operating companies received  
22 its member load ratio share of profits from the  
23 total AEP pool of profits from off-system sales?

24 A. That's correct.

25 Q. Kentucky Power is about six to seven percent

1 member load ratio, it used to be?

2 A. In that range, yes.

3 Q. So Kentucky Power got six to seven percent of  
4 total AEP East off-system sales profits no matter  
5 whose power plant actually made the off-system sale;  
6 is that correct?

7 A. That is correct.

8 Q. Okay. The amount of profits from off-system  
9 sales that are embedded in base rates that's been  
10 discussed is 15.3 million?

11 A. Approximately 15.3, yes.

12 Q. And that 15.3 million was reflective of the  
13 member load ratio sharing of the entire AEP pool of  
14 profits from off-system sales, was it not?

15 A. Yes, because that -- it was established with  
16 the pool still in effect. That's correct.

17 Q. And, of course, that member load ratio  
18 sharing, the whole pooling structure is gone at this  
19 point?

20 A. It is.

21 Q. Thank you. Now, also beginning January 1,  
22 2014, Kentucky Power took ownership of 50 percent of  
23 Mitchell Units 1 and 2, correct?

24 A. Yes.

25 Q. Okay. Seven hundred and eighty megawatts

1 total?

2 A. That is correct.

3 Q. Now, you've seen in the testimony of the KIUC  
4 witnesses that with Mitchell, and I don't think  
5 you've contested this, Kentucky Power has a  
6 projected reserve margin of 57.3 percent?

7 A. During the stipulation settlement agreement  
8 time frame, approximately.

9 Q. During the period when you owned essentially  
10 both Big Sandy and Mitchell?

11 A. That's correct.

12 Q. Because Mitchell is intended to replace Big  
13 Sandy. Big Sandy 2 is 800 megawatts, Mitchell is  
14 780 megawatts, the idea was because Big Sandy 2 is  
15 going to retire April 1, 2005 [sic], because of  
16 MATS, you got Mitchell as a replacement?

17 A. Yeah. It was -- yeah, that was the whole  
18 purpose of the Mitchell transfer case.

19 Q. Okay. So for the -- for the 17-month period  
20 January 1, 2014, through May 31, 2015, you're  
21 going -- Kentucky Power has more power than it needs  
22 for native load. Is that a fair statement?

23 A. That's fair.

24 Q. And also during the Mitchell stipulation,  
25 Kentucky Power was authorized to retain 100 percent

1 of profits from off-system sales as a new  
2 stand-alone entity; is that correct?

3 A. One hundred percent profits above the base of  
4 15.3 that goes to the customers.

5 Q. And the 15.3 million that was used to offset  
6 base rates in the last rate case was a vestment of  
7 the old pooling structure that no longer exists?

8 A. It was still the amount that's in base rates  
9 no matter how it was established, but yes.

10 Q. And capacity equalization payments are in  
11 base rates, but that -- those no longer exist  
12 either, do they?

13 A. That's true, and we only got 44 million of  
14 the total investment of the Mitchell plant.

15 Q. Now, part of the case to put Mitchell into  
16 rates, the Mitchell settlement, there was an  
17 estimate on Kentucky Power's part that there would  
18 be fuel savings from Mitchell of approximately  
19 \$16.7 million per year?

20 A. As part of, I believe it's Paragraph 2, it  
21 was 16.75 million based on the coal costs. That  
22 would be the difference between delivered at  
23 Mitchell versus Big Sandy.

24 Q. Okay. Now, as we've come to learn in this  
25 case, there was a significant fuel expense

1 associated with Mitchell that was not factored into  
2 the earlier thinking on the Mitchell transaction.  
3 By that I'm referring to the Mitchell no-load costs.  
4 Do you -- would you say that's -- would you agree  
5 with that?

6 A. No-load cost was increased due to unexpected  
7 circumstances that weren't intended or discussed  
8 during settlement.

9 Q. Okay. The annual Mitchell no-load costs are  
10 \$38.2 million; is that correct?

11 A. I don't know what the -- off the top of my  
12 head, I don't know what the annual -- where you're  
13 getting that number.

14 Q. Well, when you redid the Mitchell settlement  
15 agreement documents, Staff asked you to redo it  
16 putting the Mitchell no-load costs in where  
17 originally in the Mitchell settlement you said that  
18 the 17-month rate increase was going to be 5.33  
19 percent --

20 A. Yes.

21 Q. -- Staff said put in Mitchell no-load and it  
22 goes to 12.81 percent rate increase?

23 A. Can you refer me to that data request --

24 Q. Yeah, that was --

25 A. -- please?

1 Q. Yeah, that was the 38.2 million.

2 A. I'd just like to see that, just -- I remember  
3 the context, I just don't know what data request  
4 that was.

5 Q. It was response to the Staff --

6 A. If you don't mind.

7 Q. Yes. Staff --

8 MR. RAFF: Third request, Item Number 9.

9 THE WITNESS: I'm sorry, sir? What was it,  
10 Richard?

11 MR. RAFF: Third request, Item Number 9.

12 THE WITNESS: Thank you.

13 MR. RAFF: Attachment 1, I believe.

14 COMMISSIONER BREATHITT: The Commission's  
15 third? Staff's third?

16 MR. RAFF: Yes.

17 COMMISSIONER BREATHITT: Okay. Will you give  
18 me a second to find it?

19 MR. RAFF: The second page of the group  
20 that you have there.

21 THE WITNESS: Mark, do you have the  
22 attachment?

23 MR. OVERSTREET: I do.

24 THE WITNESS: I, for some reason, don't have  
25 the attachment.

1 MR. OVERSTREET: May I approach the witness  
2 to give him the attachment?

3 MR. KURTZ: Your Honor, if I can approach, I  
4 have that, separate copies of that. Your Honor, if  
5 we could, could we just, for ease of reference, mark  
6 this as KIUC Number 1?

7 VICE-CHAIR GARDNER: Sure. The three pages?

8 MR. KURTZ: Yes.

9 A. So in answer to your question, Mr. Kurtz,  
10 yes, it was 38,252 -- 38,252,000, yes.

11 Q. Okay. Back to that exhibit. The -- let's  
12 see. By way of additional background, would you  
13 agree that in April of 2014, the last month of the  
14 review period, Kentucky Power sold more power  
15 off-system than on-system?

16 A. I don't have that information in front of me.

17 Q. Do you have Kentucky Power response to Staff,  
18 first set, Item Number 21, Attachment 1?

19 MR. KURTZ: Again, if I could approach, I  
20 have copies for ease of reference.

21 A. First set, number -- which number?

22 Q. Twenty-nine.

23 A. Oh, 29. I'm sorry.

24 VICE-CHAIR GARDNER: This is KIUC 2.

25 MR. KURTZ: Thank you, Your Honor.

1 Q. Do you see down at the --

2 MR. OVERSTREET: Oh.

3 MR. KURTZ: I'm sorry?

4 MR. OVERSTREET: I just -- out of an  
5 abundance of caution, there's certain numbers on  
6 here that are highlighted in yellow. I assume you  
7 did that and that's not the Company's indication  
8 that it's confidential.

9 MR. KURTZ: Thank you. You're right. Yes.  
10 Sorry.

11 MR. OVERSTREET: Okay. That's fine. I just  
12 wanted to double-check.

13 Q. You see in the -- well, this is -- this is by  
14 unit. Let me -- let me strike the last question and  
15 rephrase it.

16 Do you see in the bottom left-hand side of  
17 this percent megawatt hours allocated to native  
18 load, the last grouping in the bottom left-hand side  
19 of the paper?

20 A. I do.

21 Q. Okay. Let's just look at Mitchell, for  
22 example. Mitchell, in April of 2014, Mitchell 1,  
23 52.58 percent went to native load; is that correct?

24 A. That's correct.

25 Q. Mitchell 2, 55.38 percent went to native

1 load?

2 A. Yes.

3 Q. Okay. Moving up the -- up the chart, in  
4 April of 2014, 43.51 percent of Rockport Unit 2 went  
5 to native load, correct?

6 A. That's correct.

7 Q. And 41.14 percent of Rockport Unit 1 went to  
8 native load, correct?

9 A. Yes.

10 Q. And Rockport is the lowest fuel cost unit,  
11 generally, on the Kentucky Power system, is it not?

12 A. On average, it's -- it would be -- it's  
13 normally lower.

14 Q. Okay. And Big Sandy 2, 39.5 percent went to  
15 native load, correct?

16 A. That's correct.

17 Q. And that's generally the highest cost unit of  
18 the -- of the coal units?

19 A. I don't know that it's necessarily the  
20 highest.

21 Q. All right. And then just to finish out  
22 there, 45.42 percent went to native load of Big  
23 Sandy Unit 1?

24 A. That's correct.

25 Q. Okay. Let -- by way of further background,

1 and I had the -- I had the monthly totals, but it's  
2 not -- I don't want to go through all the math, but  
3 the minimum -- the minimum -- the minimum segment  
4 cost of all of these units that are owned or leased  
5 by Kentucky Power, do you remember the response to  
6 the data request, what the minimum segment is?

7 A. Right.

8 Q. And it is 975 megawatts?

9 A. For all the units, you mean?

10 Q. Yes. Yes.

11 A. Off the top of my head, I could -- that's  
12 close.

13 Q. Okay.

14 A. I don't remember the exact number.

15 Q. Do you -- and you, of course, rebutted  
16 Mr. Hayet and Mr. Palmer or just Mr. Palmer?

17 A. Both.

18 Q. Both. Okay. Do you recall the testimony  
19 that -- of Mr. Hayet that for 31 percent of the  
20 hours of the year Kentucky Power's native load is  
21 less than the minimum, the system -- the minimum  
22 operating levels of all those power plants?

23 A. If all of them were run at the same time.

24 Q. Okay. Do you remember what the maximum  
25 output of the power plants are? Is?

1 A. For all the units?

2 Q. Yeah, all -- yeah, all the units.

3 A. All units at maximum?

4 Q. Yeah, during the 17-month period.

5 A. It's -- I think it's 16 something.

6 Q. No, no, not Kentucky Power native load, but  
7 the maximum of all the units.

8 A. All right. You have to --

9 Q. Two thousand --

10 A. Two thou -- about 2,000, yes.

11 Q. Two thousand two hundred and fifty megawatts?

12 So 31 percent of the hours of the year Kentucky  
13 Power's native load is less than 975 megawatts,  
14 and -- which is the minimum of the units?

15 A. Again, assuming all the units are running at  
16 a particular time, which, you know, is not a -- has  
17 not happened --

18 Q. Okay.

19 A. -- all that often.

20 Q. Yeah. Okay. Does Kentucky Power dispatch  
21 Rockport?

22 A. Does Kentucky Power -- all of the dispatch  
23 comes out of Columbus, through the service corp.

24 Q. Kentucky -- Rock -- Kentucky Power has a  
25 15 percent lease interest in Rockport, the plant is

1 actually owned by, I think, I&M and AEP Generating  
2 Company?

3 A. Yeah, we get a 30 percent share of AEG's  
4 50 percent, which comes out to the 15 percent.

5 Q. Okay. So Kentucky Power doesn't dispatch  
6 those units, you just get your 15 percent share of  
7 whatever energy comes out of those units?

8 A. No. Kentucky Power itself doesn't dispatch  
9 Big Sandy or Mitchell. All that dispatch is done by  
10 our group in Columbus that dispatches on behalf of  
11 Kentucky Power, and Rockport would be part of that  
12 dispatch.

13 Q. Okay. Is that true with Mitchell also, did  
14 you say?

15 A. Yes, it is.

16 Q. Okay. Because the other half of Mitchell is  
17 owned by who?

18 A. Currently by AEP Generation Resources.

19 Q. That's an unregulated affiliate?

20 A. Currently, yes.

21 Q. Do you have a -- know of a definition of the  
22 minimum segment cost, the 975 megawatts, if I were  
23 to ask you to define what that means?

24 A. Well, if you go to -- in 29, where we were  
25 already at, we defined no-load cost, first of all,

1 and then the total, you know, that is that  
2 incremental of fixed cost before you create any  
3 generation. And then --

4 VICE-CHAIR GARDNER: Excuse me. Which -- I'm  
5 sorry. Which number?

6 THE WITNESS: P -- I'm sorry. Staff, first  
7 set, Number 29.

8 VICE-CHAIR GARDNER: And what number?  
9 What --

10 THE WITNESS: At the very beginning, even  
11 before a., we define no-load costs --

12 VICE-CHAIR GARDNER: Okay. I see. Thank  
13 you.

14 THE WITNESS: -- are the fixed and  
15 consumables.

16 A. All right. So that's the no-load cost. But  
17 then up to the minimum load, which that minimum is  
18 at the minimum level that that unit can operate  
19 continually in a safe, reliable fashion, and each  
20 unit has a different megawatt hour up to that point,  
21 but -- so between no-load cost and that minimum  
22 level, you know, are the costs of start-up to get to  
23 that level.

24 Q. Okay. So the minimum, the 975 megawatts  
25 total system, that's the power plants are as low as

1 they can physically safely operate and generate  
2 electricity?

3 A. If all four run -- or all six units were run  
4 at one time; that is correct.

5 Q. And no-load fuel cost is the cost of fuel to  
6 burn, to boil water, to make steam, to turn the  
7 turbine, to turn the generator and get it synced up  
8 to the grid but produce no megawatt hours?

9 A. No. You know, and again, Kelly Pearce is  
10 probably a better person to -- if you want to reask  
11 that question when he's on the stand. But, you  
12 know, the no-load portion of that, all right,  
13 there's nothing generating. All right. There is  
14 zero generation going on, but it's -- as it states  
15 there in 29, you know, the fixed cost, you know, if  
16 you want to read that for everyone.

17 Q. Go ahead. Go ahead.

18 A. That's fine. "Are the fixed fuel and  
19 consumable costs incurred when a unit is in  
20 operation that are not dependent on the output level  
21 of the unit."

22 And we say, "In other words, these are the  
23 costs incurred in any hour to ensure that a  
24 generating unit is online and available to serve  
25 internal load, which has long been a principle of

1       how AEP dispatches its units."

2       Q.       So you're --

3       A.       So if you look on a curve, you know,  
4       there's -- again, and Kelly can readdress this, you  
5       go up a certain level and that's no-load cost, and  
6       then it has a curve up towards the minimum, where  
7       then we have the actual start-up costs that are  
8       needed to get it to and just say, example,  
9       200 megawatts for a particular unit.

10      Q.       So let's go back again. A no-load state  
11      you're produce -- the power plant is producing zero  
12      units of energy?

13      A.       That is correct.

14      Q.       Okay. So you -- so it's a theoretical  
15      statement?

16      A.       It is. It's a cost as we have discussed in  
17      the other -- if you were here in the other cases  
18      this morning, it's a cost. It is not defined by  
19      itself, doesn't have a separate account number, but  
20      it's a part of the total fuel costs that the Company  
21      incurs.

22      Q.       Okay. Did you call it a fixed cost earlier?

23      A.       Yes.

24      Q.       Okay. Now, again, it's the amount of fuel to  
25      burn to turn to make steam just up to the point

1 right before you make actually any electricity?

2 A. That would be my interpretation. You know,  
3 if Mr. Pearce has a different way we can say it, but  
4 that's -- yes.

5 Q. Okay. Now, no utility would ever -- first of  
6 all, you couldn't physically run a power plant like  
7 that at that level, could you?

8 A. No. If there's -- if it does not generate,  
9 if it's generating zero, even though there's a  
10 no-load cost cost that's calculated, nothing gets  
11 passed through to the customer. All right? So if  
12 there's zero generation, there is zero no-load cost.

13 Q. Well, let's start again.

14 A. That's a fact.

15 Q. Well, you can't operate a power plant at the  
16 no-load level, can you? Because the minimum you can  
17 operate it is the minimum, which is above no-load,  
18 right?

19 A. That's correct.

20 Q. Okay. So you can't physically operate just  
21 to the brink of producing electricity, it's a  
22 theoretical --

23 A. But that's the idea behind a theoretical is  
24 that if there's not any generation -- all right.  
25 For instance, if Big Sandy 1 for an example, is not

1 running, it is down, not churning a single megawatt,  
2 zero no-load cost. There is no load cost that gets  
3 allocated to any customer.

4 Q. No utility ever would -- even if you could  
5 physically operate at no-load, why would you burn  
6 coal to make zero?

7 A. You don't burn coal to make zero. It's a --

8 Q. Right. You would never -- you would never --

9 A. Again, that's what -- that's the point we're  
10 making.

11 Q. Right. You would never do that in the real  
12 world even if you could, because you're burning coal  
13 and getting no output?

14 A. Yeah, there is no burning of coal to get a  
15 no-load cost. All right? It's just fixed costs.  
16 There's nothing burning.

17 Q. You've calculated the no-load costs by unit,  
18 haven't you, for the Commission?

19 A. Yes, I think that was --

20 Q. Okay.

21 A. The answer is yes.

22 Q. You've called it a fixed cost. Could you --  
23 could you make any electricity without incurring the  
24 no-load cost?

25 A. Ask that again, please.

1 Q. Could you make electricity without incurring  
2 the no-load cost?

3 A. No.

4 Q. So in order to sell power on system, you have  
5 to incur the no-load cost?

6 A. Yes.

7 Q. And in order to generate electricity, so  
8 off-system, you have to incur the no-load cost,  
9 correct?

10 A. If no-load cost is incurred, yes.

11 Q. You've testified that -- in big picture that  
12 you think that the way Kentucky Power has been doing  
13 fuel costs, the fuel adjustment is a reasonable  
14 rate?

15 A. It is a -- the way -- it's under the economic  
16 dispatch principles that Kentucky Power has been  
17 under for at least the last 30 years, yes.

18 Q. I'll get into this a little bit later, but  
19 when did the Commission Staff ever hear the phrase  
20 "no-load cost"? When was the first time?

21 A. I don't know.

22 Q. Didn't you answer a data request that said it  
23 was the June 26, 2014, informal conference was the  
24 first time no-load was ever discussed?

25 A. That -- you asked -- I mean, that's when we

1 brought it and discussed it. I can't answer if  
2 Staff knew of those costs prior to that or not.

3 Q. Well, if you assume Staff had never heard of  
4 it before the June 26, 2014, conference, then the  
5 fact that Kentucky Power had been doing something  
6 for 30 years, I mean, what difference would it make  
7 if it was a secret, so to speak?

8 A. I didn't say it was a secret.

9 MR. KURTZ: Your Honor, if we could have  
10 marked as KIUC 3. This is an excerpt from an  
11 exhibit from Mr. Kollen's [sic] testimony.

12 Q. Oh, sorry.

13 A. I can look it up, but if you're passing it  
14 out.

15 Q. And I would -- I just did this for ease of  
16 reference. This is from page 9 of his -- oh,  
17 Mr. Hayet's testimony. Page 9 of Mr. Hayet. If you  
18 want -- if you want to verify, you can turn to his  
19 testimony.

20 Have you seen this before?

21 A. Yes.

22 Q. Okay. Let's just go through by month. Let's  
23 just -- I don't want to go through by month. Let's  
24 just go to April, make it faster.

25 In April 2014, Kentucky Power's total fuel

1 costs were \$27.83 per megawatt hour?

2 A. Yes, sir.

3 Q. Okay. And the amount that off-systems sales  
4 paid was \$22.36 per megawatt hour?

5 A. That's what it shows, yes.

6 Q. Okay. And native load paid above the average  
7 cost, native load paid \$34.40 per megawatt hour?

8 A. Yes.

9 Q. Is that correct?

10 A. That's what -- that's what it shows.

11 Q. Okay. And you think that it's reasonable to  
12 charge the off-system customers, looks like \$12 a  
13 megawatt hour less than your own ratepayers?

14 A. No, I think, you know, in order to  
15 understand, you, the -- I don't think this shows the  
16 whole picture. It's factual numbers, but what you  
17 have to remember in looking at this is, you know,  
18 first of all, you know, we do economically dispatch  
19 that the highest cost goes to off-system sales, and  
20 that, you know -- and then we do it from a top-down,  
21 you know, down to the area of the minimums, as we  
22 discussed, and the minimums then down to -- get  
23 allocated to internal, because part of -- as was  
24 brought up by Mr. Kurtz, you know, during this  
25 stipulation settlement agreement, we do have

1 additional units able to run, and as part of  
2 Paragraph 7 of that stipulation settlement  
3 agreement, because we were only -- had agreed to  
4 recover only \$44 million through the asset transfer  
5 rider, then we was also given the opportunity to  
6 mitigate some of that risk to our earnings by having  
7 off-system sales, and so in order to do that, you  
8 know, the units were ready.

9 Due to the unexpected event of a polar vortex  
10 in January and February, when there was increased  
11 need for electricity off-system, you know, the  
12 Company was able to make those sales, and at that  
13 time, then you have as many of the units that were  
14 available running, and so then, you know, we did not  
15 change any type of our allocations, any of our  
16 methods, any way that we did business just to make  
17 off-system sales, we did it exactly as we've always  
18 done it for the last 30 years, and due to the events  
19 of the stipulation, all the different things that  
20 were settled upon, then you end up with these  
21 results.

22 Q. Okay. Let me ask it again. In April of  
23 2014, you charged your own ratepayers \$12 a megawatt  
24 hour more for fuel than your out-of-state sales or  
25 off-system sales. You charged your native load

1 customers 50 percent more for fuel than off-system.  
2 Just inherently you think that's fair? You think  
3 that's --

4 A. I think it's fair in the context that in the  
5 whole scheme of the Company was only receiving  
6 40 percent of the value of Mitchell through base  
7 rates, and so the customers were getting the benefit  
8 of those costs, and so then when you net everything,  
9 it is definitely a ben -- a net benefit to the  
10 customer.

11 Q. Now, there's a funny -- there's a funny  
12 relationship, because you treat all these no-load  
13 costs as fixed costs and they go to native load no  
14 matter what, correct? No matter what volume of  
15 sales, native load always pays the no-load costs?

16 A. In general, yes, unless it is -- the only  
17 no-load cost that would ever be signed off is if  
18 your internal load was less than the sum of if you  
19 had all the units running. So in other words, as  
20 you have said, the 975. If for any reason that my  
21 internal load was only 900, all right, that  
22 incremental difference between 900 and 90 -- 975, a  
23 portion of that then would get allocated to  
24 off-system sales.

25 Q. Now, you don't mean no-load costs, you mean

1 minimum segment, because no-load costs go to native  
2 load 100 percent of the time no matter what; isn't  
3 that correct? Should I ask Mr. Pearce that  
4 question?

5 A. Yeah, if you can ask Mr. Pearce.

6 Q. Okay.

7 A. I believe it's -- he can clarify that.

8 Q. Okay. Now, by treating no-load costs as a  
9 fixed cost, don't you have this sort of cruel irony  
10 that as native load sales go down, the fuel  
11 adjustment rate goes up, all else equal, because  
12 you're amortizing the fixed no-load costs over fewer  
13 megawatt hours?

14 A. You know, if you look at fuel costs in  
15 isolation, yes, but that's not the way that this  
16 needs to be looked at. It's -- that's why we  
17 settled on the various parts of the settle -- the  
18 stipulation and settlement agreement and looked at  
19 it in total.

20 MR. KURTZ: Your Honor, if we could have  
21 marked as KIUC 4.

22 VICE-CHAIR GARDNER: So ordered.

23 Q. You've seen this data response from Kentucky  
24 Power, have you not?

25 A. I have.

1 Q. Okay. Let's just go over the no -- these are  
2 the no-load costs by month by power plant?

3 A. Yes.

4 Q. Okay. And Staff requested this in its first  
5 set, Item 29?

6 A. That's correct.

7 Q. Okay. Now, we saw earlier -- again, I just  
8 want to focus on April 2014 -- that in April 2014,  
9 this is KIUC Number 2, this document here, that  
10 native load customers got 39.5 percent of the Big  
11 Sandy 2 generation; is that correct?

12 A. I'm not sure where you're at.

13 Q. Okay. KIUC 2. I'm sorry. I'm bouncing you  
14 back. This -- in April native load got 39.5 percent  
15 of Big Sandy 2's generation; is that correct?

16 A. KIUC Number 2?

17 Q. Yes. It's the Staff 29, this document.

18 A. I've already lost it. And what number again?  
19 I'm sorry.

20 Q. April '14, Big Sandy Unit 2 native load  
21 received 39.5 percent of the output of Big Sandy 2?

22 A. Yes.

23 Q. Now, if you look on KIUC 4 at the bottom, Big  
24 Sandy 2 in April, what was the no-load cost?

25 A. Big Sandy 2?

1 Q. Yes.

2 A. 4,250,145.

3 Q. Okay. And in that month native load paid all  
4 that no-load cost, correct? Because you treat it as  
5 a fixed cost?

6 A. Yes.

7 Q. Okay. Now, what if native load had only  
8 received one megawatt hour out of Big Sandy 2?  
9 Native load would have still got charged that same  
10 \$4.2 million, correct?

11 A. In theory. You are not going to generate one  
12 megawatt hour, but yes.

13 Q. Now, for the whole month of -- month of  
14 April, Kentucky Power had \$7,844,000 of no-load  
15 costs --

16 A. That's correct.

17 Q. -- is that correct?

18 A. That's correct.

19 Q. Now, this is going to be an extreme example,  
20 I know it couldn't happen, but let me -- just to  
21 demonstrate a point, if in the month of April you  
22 had one customer left on the system and she bought  
23 one megawatt hour of power from Kentucky Power and  
24 everything else was sold off-system, wouldn't that  
25 one customer be charged \$7.844 million of no-load

1 costs?

2 A. I don't know if you could make that  
3 calculation. I think you're right, that's a  
4 stretch. I don't know you can make that assumption.

5 Q. But that -- that's the way it works.

6 A. Ah.

7 Q. So the no-load cost goes to native load  
8 regardless of the level of native load sales?

9 A. But you wouldn't -- you know, that's --  
10 that's just a completely unacceptable hypothesis.

11 Q. Well, it's an extreme example, I know, and I  
12 said that, but it just -- but the point is that  
13 no-load goes with native load no matter how much  
14 power you sell to native load versus off-system?

15 A. You know, we stated, you know, time and again  
16 that, you know, we followed the economic dispatch  
17 principles, we follow our economic on how these  
18 costs are allocated and have been allocated, and,  
19 you know, it's a principle that is not -- we're not  
20 the only utility in the state that does this. There  
21 are differences on how they allocate, but we're  
22 clearly not the only one that allocates this way,  
23 and it's a very, you know, credible way of  
24 allocating the costs.

25 Q. Okay. Now, during the time when AE -- when

1 Kentucky Power was operating under the AEP pooling  
2 agreement, there was actually language in the  
3 interconnection agreement, the pooling agreement,  
4 that Mr. Pearce cited that seemed to indicate this  
5 is -- that that is the way you were supposed to do  
6 it, the treatment of no-load costs. Do you recall  
7 that?

8 A. Well, you can ask Mr. Pearce. I mean, I know  
9 he has a quote in there from the AEP pool agreement.  
10 It's probably better asked of Mr. Pearce.

11 Q. But beginning January 1, 2014, there is no  
12 more pool agreement to give guidance?

13 A. There is no -- there's no longer a pool  
14 agreement.

15 Q. Would you agree that the Commission's job,  
16 among other things, to balance interests and so  
17 forth, is to establish just and reasonable fuel  
18 rates for consumers?

19 A. That's part of the fuel adjustment clause is  
20 to look at the costs that have been incurred and to  
21 make sure that those costs are prudently -- that  
22 were prudently incurred and properly passed through  
23 the fuel adjustment clause.

24 Q. Do you -- do you know how the Commission, I'm  
25 sure you do, treats fixed environmental costs for

1 purposes of the environmental surcharge in terms of  
2 allocations of off-system -- to off-system sales?

3 A. I am.

4 Q. And doesn't the Commission allocate a portion  
5 of the fixed environmental costs to off-system  
6 sales?

7 A. They do allocate a portion of that which is,  
8 you know, basically shifting how the Company  
9 recovers those environmental costs, a shift from  
10 collecting it from the retail through the  
11 environmental through collection through off-system  
12 sales by increasing the cost of off-system sales.

13 Q. Now, Mr. Kollen had a long discussion about  
14 the history of that and how Kentucky Power  
15 challenged that and went up to the circuit court and  
16 the Commission was affirmed. You didn't file any  
17 rebuttal to any of that, did you?

18 A. No. We did not file any -- I did not file  
19 any rebuttal to that, but when you think about --  
20 it's the same thing that's been discussed, you know,  
21 previously, that if you make a change -- and take,  
22 for instance, if you're going to change the  
23 allocation method of how these fuel costs are  
24 allocated, that it must match up with a base rate  
25 type of case in order that you don't have tracked

1 costs.

2 "Tracked costs" meaning costs that, as I  
3 said, in base rates is set up under certain  
4 parameters that -- you know, the 15.3 was based on  
5 this is how the allocation process worked. If you  
6 change that outside of a base rate case, then you  
7 are going to end up with costs aren't going to be  
8 fully recovered, in other words, tracked costs.

9 Q. Now, didn't we establish earlier that the  
10 15.3 million in off-system sales profits baked into  
11 the current base rates was a vestige of the old  
12 pooling agreement, the member load ratio sharing of  
13 all of AEP's profits from off-system sales?

14 A. But it doesn't matter how it's developed,  
15 it's what's being collected through base rates at  
16 \$15.3 million.

17 Q. And the -- we have to assume for ratemaking  
18 purposes the base rate is fair, just, and reasonable  
19 until the Commission rules otherwise?

20 A. They ruled at that case that it was fair,  
21 just, and reasonable in that case.

22 Q. Do you -- have you ever been involved in a  
23 situation where the Commission has disallowed fuel  
24 costs in an FAC proceed?

25 A. I have not, no.

1 Q. Are you aware that in -- do you remember in  
2 the late '90s when KU and LG&E were charging native  
3 load customers the fuel costs associated with line  
4 losses from off-system sales and the Commission  
5 said, "No, refund that money"?

6 A. I do not.

7 Q. You don't?

8 A. I'm sorry.

9 Q. Do you remember the Big Rivers fuel  
10 disallowances from the mid '90s?

11 A. I do not.

12 Q. Are you aware of any fuel case where the  
13 Commission said, "We find that fuel rate to be  
14 unreasonable, but we're not going to deal with it  
15 until the next rate case"?

16 A. We've never had a case -- that I'm aware of,  
17 there's never been a case at Kentucky Power where  
18 they've disallowed any fuel cost.

19 Q. I'm not asking for a legal opinion, but you  
20 recognize that the fuel adjustment regulation is a  
21 stand-alone regulation that requires the fuel rate  
22 to be reasonable?

23 A. I do, but also understand that the effect on  
24 fuel, if you change an allocation between internal  
25 and off-system sales, that it has an effect on your

1 off-system sales and the way it was established in  
2 base rates which then again leads to a mismatch  
3 which, you know, is the whole point here. In order  
4 to keep everything on fair and equitable, they must  
5 be matched up with a base rate case.

6 Q. Let me ask you to turn to your testimony,  
7 page 6.

8 A. I'm there.

9 Q. Do you have that?

10 A. Yes, sir.

11 Q. Now, on line 8 you have a number \$9.884  
12 million; is that correct?

13 A. That is correct.

14 Q. And that's quantified on your Exhibit 1, it's  
15 the cost difference between the high- and low-sulfur  
16 coals used -- coals used at Mitchell and the  
17 low-sulfur coal used at Big Sandy?

18 A. That's correct. It's looking and saying that  
19 the Big Sandy, if you priced it all out at the  
20 Mitchell, what the amount would be, yes.

21 Q. Okay. So tell me how -- tell me how you did  
22 that calculation.

23 A. Basically we looked at -- if you go over to  
24 my exhibit, RKW-1, and the -- and we show there the  
25 Mitchell, you have -- I wish I put column head -- or

1 numbers on them. I apologize for that.

2 But you have the fourth column over says  
3 Total Actual Monthly Fuel Cost. That's all in  
4 Rockport, Big Sandy, and Mitchell. And what the  
5 difference is in the next column over is basically  
6 taking that instead of the Mitchell units at -- I'm  
7 sorry. I'm sorry. That the Big Sandy units, we  
8 would price them out at Mitchell's cost.

9 Q. Okay. And --

10 A. And so you have those differences shown out  
11 there in the last few columns.

12 Q. Okay. You took the Big Sandy generation and  
13 said if it were to have the same fuel cost as  
14 Mitchell, this would be the savings?

15 A. That -- that's correct.

16 Q. Okay.

17 A. Which is -- which is similar to what we did  
18 in Paragraph 7 in coming up with -- we made an  
19 estimated \$2.50 per megawatt hour difference to the  
20 estimated number of tons would come up with that  
21 16.75 million. This is trying to emulate that,  
22 Mr. Kurtz.

23 Q. Now, you recognize that not all the Big Sandy  
24 megawatt hours go to native load, correct?

25 A. Yes.

1 Q. Okay. And, in fact, from KIUC 2 we saw that  
2 in April, for example, only 39.5 percent of Big  
3 Sandy 2 megawatt hours went to native load, right?

4 A. But back to Paragraph 2, in the stipulation,  
5 you know, that quick analysis to come up with that  
6 number, you know, was not changing that difference  
7 of Big Sandy between internal and off-system loads  
8 either.

9 Q. I want to go to your Exhibit 1, this  
10 9.88 million.

11 A. Yes, sir.

12 Q. You swapped out the fuel costs of Big Sandy  
13 and Mitchell, and you say, "Well, Big Sandy has a  
14 higher fuel cost than Mitchell, therefore ratepayers  
15 are saved 9.88 million," but the thing I want to  
16 discuss is ratepayers aren't getting all the  
17 generation from Big Sandy, we're only getting  
18 40 percent of it in the April month, so how is this  
19 calculation accurate?

20 A. The calculation is accurate only in the  
21 context against the 16.75 million. That's the only  
22 purpose of this calculation.

23 Q. And this also doesn't show the \$38.2 million  
24 of no-load costs that consumers are paying with  
25 respect to Mitchell?

1 A. Yes. This was only to look at in comparison  
2 to Paragraph 2 of the stipulation agreement.

3 Q. The -- now, at the time of the Mitchell  
4 settlement, Kentucky Power and AEPSC employees were  
5 not aware of the magnitude of the no-load costs of  
6 Mitchell; is that correct? I'll ask you --

7 A. We -- what we -- at the time of the  
8 settlement stipulation agreement, we did not see an  
9 impact based on the fact that we assumed, as I think  
10 is proper, a normal type of situation and that, you  
11 know, Big Sand -- Mitchell would be used more than  
12 Big Sandy for internal because of the cheaper cost,  
13 and that even though we had an opportunity to maybe  
14 make some off-system sales, there was no guarantee,  
15 so the allocation principles that had always been  
16 there, you know, we didn't anticipate having to make  
17 any changes and we did not make any changes to those  
18 principles.

19 Q. Well, let me just hand out as KIUC, I think 5?

20 VICE-CHAIR GARDNER: Five.

21 Q. Staff asked you some questions about what you  
22 knew about the no-load and when you knew it.

23 A. Uh-huh.

24 Q. Do you recognize this data response?

25 A. I do.

1 Q. Okay. Staff asked, "Given that Kentucky  
2 Power allocates 100 percent of 'no load costs' to  
3 native load customers, state whether Kentucky Power  
4 or American Electric Power Company employees were  
5 aware of the magnitude that the Mitchell 'no load  
6 costs' would have on Kentucky Power's internal  
7 customers prior to the July 2, 2013 filing of the  
8 Stipulation and Settlement Agreement in" the  
9 Mitchell case.

10 And your answer was -- can you read your  
11 answer? At least the first sentence. Read it all  
12 if you want, but --

13 A. "No. Kentucky Power and AEPSC employees were  
14 not aware of the magnitude of the post-December 31,  
15 2013 no load costs or their effect on the Company's  
16 internal customers."

17 Q. When did you become aware of the magnitude?

18 A. We became aware of the magnitude probably  
19 towards the end of February, March, and the fact  
20 that my staff, as they starting seeing the fuel  
21 costs, saw that there was an increase, and we  
22 started to ask questions internally to our own  
23 internal investigation through our discussions with  
24 Columbus. And that occurred over the next two to  
25 three months in trying to understand why everything,

1 you know, was changing.

2 So that was the beginning of it, and, you  
3 know, come towards the end of April, early May,  
4 after seeing -- again, remember that we're on the  
5 two-month lag, so, you know, January's costs,  
6 actuals we don't get until -- till late February,  
7 and so as you look at a couple months, part of what  
8 we were doing as well -- we knew that with Mitchell  
9 coming in and the pool going out, when you have  
10 changes to your systems, you want to make sure that  
11 everything is operating properly, and so, you know,  
12 we were going through our due diligence to look at  
13 all these costs, to investigate and, you know, ask  
14 ourselves did we change something in there, did  
15 something happen that we wouldn't -- that, you know,  
16 was incorrect.

17 Through all of that due diligence, and it  
18 took a while to see a few months that -- how this  
19 was incurring, did we see the results and attribute  
20 that a great portion of these changes was due to the  
21 no-load costs.

22 Q. Why did you wait until June 26th to even  
23 disclose the existence of the significant cost to  
24 Staff?

25 A. It wasn't that late. There was conversations

1 between our staff and the Commission Staff on issues  
2 that we were going to bring up as we were talking to  
3 them about changes during the year, and that was one  
4 of the issues that was asked of us was, you know,  
5 as -- are we -- are we aware of the increase in the  
6 fuel, and we said yes, and we said that as soon as  
7 we understand and what that is, you know, we will  
8 let you know.

9 And so then towards the end of April, May,  
10 when we were aware of it, we set up the informal  
11 conference. It just -- the conference just didn't  
12 happen till June 26th. But there were conversations  
13 between us and Staff.

14 MR. KURTZ: Okay. Let's -- KIUC 6, if we  
15 could.

16 VICE-CHAIR GARDNER: Gesundheit.

17 THE WITNESS: Thank you.

18 Q. Do you recognize this data request?

19 A. I do.

20 Q. Okay. Let's just -- let -- I'll ask you  
21 about g. first. Staff said, "State whether 'no load  
22 costs' are discussed in Kentucky Power's Cost  
23 Allocation Manual. If yes, provide excerpts."

24 What was the answer?

25 A. "'No load costs' are not addressed within the

1 Cost Allocation Manual."

2 Q. Okay. And then Staff asked you on j., "State  
3 whether Kentucky Power has discussed 'no load costs'  
4 with the Commission prior to the meeting held on  
5 June 26, 2014, at the Commission's offices. If yes,  
6 identify the proceeding."

7 Can you read your answer?

8 A. "Kentucky Power is not aware of any  
9 proceeding in which inquiry has been made recording  
10 'no load costs.'"

11 Q. Does that mean Staff first learned of the  
12 no-load costs on June 26, 2014?

13 A. It means that Kentucky Power was not aware.  
14 If that was the first time -- it may have been the  
15 first time. I cannot definitively answer if it was  
16 Staff's. All I know is that we were not able to  
17 find any proceeding where it was discussed.

18 MR. KURTZ: Going to mark this KIUC 7.

19 Q. Do you recognize this document, Mr. Wohnhas?  
20 That's our -- that's our handwriting, my handwriting  
21 or somebody's, June 26.

22 A. This is the document that was handed out  
23 during the informal conference held on June 26.

24 Q. Okay. I just want to breeze through it.  
25 There's quite a bit of detail on weighted average

1 costs of coal and coal pile adjustments and the  
2 illustration of coal surveys and this type of thing.

3 A. Yes.

4 Q. Is that -- is that fair?

5 A. Yes.

6 Q. Okay. A lot of information on forced outage  
7 calculation, page 16. Page 17 there's -- there are  
8 detailed documentation. Do you -- let's see. Can  
9 you turn to page 22?

10 A. Yes, sir.

11 Q. The second bullet point, (Reading) Kentucky  
12 Power's methodology for allocating no-load costs to  
13 internal load has not changed.

14 Is that the only discussion of no-load costs  
15 in your presentation?

16 A. No. If you recall, we had a very extended  
17 verbal discussion of this for probably 45 minutes.

18 Q. Yeah, I do remember, but I mean in the  
19 presentation, your written presentation, is that the  
20 only discussion of no-load costs?

21 A. That was the only -- as a bullet to -- to  
22 have that discussed, yes.

23 Q. That's a fairly brief -- a brief discussion  
24 of a \$38 million per year cost, is it not?

25 A. It wasn't a discussion, it was just a bullet

1 point to make -- to allow us to remember to have  
2 this discussion during the formal conference.

3 Q. So the -- at least the written materials,  
4 it's not a very in-depth discussion, would you  
5 agree?

6 A. It's not a discussion at all.

7 Q. Okay. But you did have a very detailed -- 20  
8 pages on inventory, on all these other things here;  
9 is that correct?

10 A. There's other different layouts, yes.

11 Q. The very last page is entitled Increase in  
12 Fuel Adjustment Clause, Contributing Factors,  
13 Termination of the AEP East System Pool; is that  
14 correct?

15 A. Yes.

16 Q. Okay. And then the last bullet is Inclusion  
17 of Mitchell in Kentucky Power's Portfolio?

18 A. Yes.

19 Q. Okay. That came as sort of a surprise,  
20 because when the Commission approved the Mitchell  
21 settlement, the Commission was told and intervenors  
22 and signatories were told this was going to be a  
23 \$16.75 million fuel savings, correct?

24 A. You know, as I said before, you know, we did  
25 not anticipate the idea of no-load costs having an

1 increase due to this happening. It was not until  
2 the events of January through the cold polar vortex  
3 did, you know, it come about that now these units  
4 were going to running all at the same time.

5 So, you know, once those events happened, you  
6 know, things changed on how -- we did not expect  
7 those, you know, when we were discussing the  
8 stipulation settlement agreement.

9 Q. You mentioned polar vortex a couple times.  
10 On page 6 of your testimony, line 16, you say, "More  
11 fundamentally, the higher no load costs are driven  
12 principally by the fact that the extreme cold  
13 weather experienced during the January and  
14 February 2014 Polar Vortex created a seldom-seen and  
15 never-contemplated demand for the Company's  
16 generation."

17 Did I read that correctly?

18 A. You did.

19 Q. Okay. Can you turn back to KIUC Exhibit 4,  
20 the no-load costs by unit by month?

21 A. Yes, sir.

22 Q. Okay. The -- let's look at your no-load  
23 costs total system for January 2014. 9.5 million;  
24 is that correct?

25 A. That is correct.

1 Q. Okay. February, the other polar vortex month  
2 you cite, 7.5 million, correct?

3 A. That's correct.

4 Q. Okay. And then in March it's 6.7 million,  
5 correct?

6 A. Yes.

7 Q. And then in April it's higher than it was in  
8 February, it's 7.8 million.

9 A. That's correct.

10 Q. So why do you testify that the higher no-load  
11 costs are driven principally by the February and  
12 January polar vortex when your April no-load costs  
13 were higher than February?

14 A. Well, without looking at all of the things  
15 that happened, as, again, part of the stipulation  
16 settlement agreement was the fact of Paragraph 7  
17 where we had the opportunity to have off-system  
18 sales, and if there were opportunities in April that  
19 may not have been there in March, we would have ran  
20 those units to take advantage of that opportunity.

21 Q. No, but you're blaming the high no-load costs  
22 on the polar vortex, and the polar vortex didn't  
23 have anything to do with it in April, and it's  
24 higher than it was in February.

25 A. That's -- the cold weather clearly in January

1 and February, you know, drove the running of all the  
2 units to take care of not only our increased  
3 internal load, but then also the opportunity for  
4 off-system sales after we took care of our internal  
5 load.

6 And again, in following months you're still  
7 going to have the opportunity, whether it's  
8 completely due to the polar vortex -- I'm sorry,  
9 vortex, the cold weather, or the opportunity sales  
10 based on situations that are out there in the market  
11 to make those sales.

12 Q. How can you blame the high no-load costs on  
13 the polar vortex when April was higher than  
14 February?

15 A. I don't know how to explain it differently to  
16 you, sir.

17 Q. Okay. You have -- when Staff asked you to  
18 redo the Mitchell settlement spreadsheet -- is that  
19 KIUC 1? Okay. Do you have KIUC 1 in front of you?  
20 Do you have KIUC 1 in front of you?

21 A. Yes.

22 Q. Okay. Let me hand you another exhibit. It's  
23 the original Staff data request.

24 MR. KURTZ: If we could have it marked as  
25 KIUC 8.

1 Q. Do you recognize this document from the  
2 Mitchell case?

3 A. I do.

4 Q. Okay. This is -- you're -- the Staff -- do  
5 you read the -- well, the request at the top says,  
6 (Reading) Provide an exhibit, with electronic copy,  
7 all formats [sic] attached, et cetera.

8 "The schedule should reflect all known and  
9 measurable adjustments and at a minimum should  
10 reflect," and the Staff gave you a lot of different  
11 things.

12 A. Yes, sir.

13 Q. Can you -- can you turn to the last page of  
14 this?

15 A. To Attachment 1?

16 Q. Yes.

17 A. Yes.

18 Q. Okay. Column one was the rate, the projected  
19 rate increase if you were going to go ahead and  
20 build a scrubber at Big Sandy 2 at 25.59 percent,  
21 correct?

22 A. That is correct.

23 Q. Okay. And what the Company told the  
24 Commission was, for the 17-month period where  
25 Kentucky Power would own both Mitchell and Big

1 Sandy, the rate increase on consumers was only  
2 projected to be 5.33 percent, correct?

3 A. Yes, sir.

4 Q. Now, that was kind of, at least I thought, a  
5 small price to pay to retire one unit, get a whole  
6 nother unit. It seems that was relatively modest.  
7 Was that the way you understood that number to be  
8 interpreted?

9 A. Well, it was, you know, a good deal to get  
10 the Mitchell unit, but the Kentump -- the Kentuck --  
11 the Company was only getting 44 million of the -- or  
12 roughly 40 percent of the total value of that  
13 investment, at least for the next 17, 18 months.

14 Q. Okay. But now when Staff in KIUC 1 said redo  
15 that exhibit but add the Mitchell no-load costs, you  
16 see that same exhibit with a \$38,252,000 no-load  
17 cost right in the middle?

18 A. I do. But I also notice that in 5-10, in the  
19 question that you -- that you read a few minutes  
20 ago, it says, "The schedule should reflect all known  
21 and measurable adjustments." And we reflected all  
22 known and measurable adjustments. There was nothing  
23 around no-load costs that we saw was changing at the  
24 time 5 -10 was developed.

25 Q. Well, how could you forget about a

1 \$38 million cost?

2 A. There wasn't a \$38 million cost in July --  
3 when we look at -- and assuming normal weather,  
4 normal occurrences, that wouldn't have happened. We  
5 did not have it forecasted, so it's not something  
6 that you -- in hindsight it all looks good, but at  
7 the time you were there, these costs we did not  
8 expect to change.

9 Q. Well, let's go back a little bit. Staff  
10 never even heard the phrase no-load, as far as I can  
11 tell from the paper trail, until June of 2014, and  
12 you were not able to find out -- cite anyplace where  
13 they were informed about that, correct?

14 A. That's correct.

15 Q. Okay. So when -- and all the Mitchell  
16 no-load costs go on native load customers no matter  
17 how much Mitchell serves native load, correct?

18 A. Correct.

19 Q. It's a fixed cost, as you've described it, a  
20 fixed fuel cost.

21 A. But if the units were to run similar and if  
22 there would not have been a polar vortex, if 2013 --  
23 I'm sorry, 2014's winter weather pattern had been  
24 very similar to 2013, you would not have -- you  
25 would not have incurred all these additional no-load

1 costs, and thus you would not have this increase in  
2 fuel.

3 Q. Is that the polar vortex from April?

4 A. That's the increase -- we could have had --  
5 increased in some no-load costs due to Paragraph 7,  
6 but it would not have been, you know, due to the  
7 extra needed for covering the polar vortex.

8 Q. Now, when Staff asked you to put the no-load  
9 costs in here, in your Mitchell analysis, the rate  
10 increase goes from 5.33 percent to 12.81 percent,  
11 correct?

12 A. That is correct.

13 Q. That's 140 percent higher number than what  
14 the Commission and, well, the signatory parties were  
15 led to believe.

16 A. Well, but you failed to go to the next column  
17 where the total impact was going to be 13.98, and  
18 then it jumps only to 15.01 percent. So there's a  
19 bigger difference in the interim, but the total rate  
20 impact is, you know, basically only one percent  
21 difference for the whole Mitchell as a whole.

22 Q. Yeah, yeah, I'm going to foc -- well, still  
23 15 percent is higher than 14 percent.

24 A. It is.

25 Q. But that's nominal. I think anyone can

1 excuse, but being off by 140 percent and forgetting  
2 a \$38 million cost, that's --

3 A. We didn't forget a cost.

4 Q. Well --

5 A. All right? You know, I don't -- I don't know  
6 how to make it any clearer that those costs were not  
7 anticipated to change, and you can't make an  
8 estimate of something you don't think is going to  
9 change. It was not known and measurable at the time  
10 we were discussing the stipulation and settlement  
11 agreement.

12 Q. Somebody in AEP knew how no-load costs were  
13 handled for fuel adjustment purposes. You've been  
14 doing it the same way for 30 years.

15 A. Sure.

16 Q. So why wasn't that person brought in to bear  
17 on the known and measurable changes?

18 A. But again, we didn't see anything changing.  
19 We did not see the load changing, so there was no  
20 anticipated change to no-load costs.

21 Q. I want to just hand you one final exhibit,  
22 Mr. Wohnhas, KIUC 9.

23 A. Thank you.

24 Q. Do you recognize this from Mr. Hayet's  
25 testimony, page 15 -- 13? Page 15, do you recognize

1 this -- this document or this exhibit?

2 A. I do.

3 Q. Okay. Now, what he did is he looked at  
4 the -- on the left on the top, the Kentucky Power,  
5 this is how you allocated fuel costs between native  
6 load and off-system sales for each of the power  
7 plants over the four-month period. Is that the way  
8 you understood it when you reviewed his testimony?

9 A. Sure.

10 Q. Okay. So off-system sales out of Big Sandy  
11 for the four-month period paid \$25.81 a megawatt  
12 hour and native load was \$35.25?

13 A. Yes.

14 Q. So native load paid \$9.44 more than  
15 off-system for the Big Sandy power; is that correct?

16 A. Yes.

17 Q. Okay. And for the four-month period out of  
18 Mitchell, native load customers paid \$9.58 a  
19 megawatt hour more than off-system sales, correct?

20 A. You say 9.58?

21 Q. Yes.

22 A. Yes.

23 Q. Okay. And Rockport again, native load paid  
24 \$3.07 a megawatt hour more than off-system, correct?

25 A. Yes.

1 Q. Now, he said, well, what would it have been  
2 if you did the East Kentucky stacking? And there  
3 you get pretty close. Native load and off-system  
4 aren't that far apart. For Big Sandy off-system  
5 pays \$.97 a megawatt hour more than native load, but  
6 just a little bit more, right? That's what it  
7 shows?

8 A. For this calculation.

9 Q. And that for Mitchell native load would pay a  
10 little bit less, well, \$4.06, little bit less, but  
11 off-system isn't that far off the market, it's \$4  
12 higher, correct?

13 A. Yes.

14 Q. And then for Rockport, again, pretty similar,  
15 native load only pays \$1.04 a megawatt hour less  
16 than off-system, but still just a little bit less.

17 A. Yes.

18 Q. So it's not as -- nearly as dramatic of a  
19 swing in the different fuel costs for the different  
20 jurisdictions versus your method. That part is  
21 true.

22 A. I mean, it's just -- it's a complete  
23 different allocation method and that's the numbers  
24 that come out. You have to realize that if you make  
25 this allocation change and you shift, as a short

1 term, you may take a short-term benefit on your fuel  
2 costs, but you make a long-term detriment to your  
3 off-system sales. And, you know, getting out of the  
4 stipulation settlement agreement 100 percent, going  
5 to Kentucky Power and you go back to a 60/40  
6 sharing, you've hurt both the Company and the  
7 customer's ability to share in off-system sales,  
8 'cause the dispatch costs go up for the units due to  
9 the off -- the additional cost to off-system sales,  
10 so that opportunity is now much less.

11 Q. Now, during the four months, January through  
12 April, would you agree that Kentucky Power made  
13 profits from off-system sales of \$49,635,000?

14 A. Where are you getting that number?

15 Q. It's from the Kollen chart where's he's got  
16 the big spike in the off-system sales profits and  
17 he's got the numbers. It's also an exhibit to his  
18 testimony.

19 A. Is it an exhibit or a table?

20 Q. It's both. But go to his Exhibit -- I think  
21 3 or 5. Oh. How about 7? Yeah. Kollen Exhibit 7.  
22 It's got profits from off-system sales, January  
23 '14 -- these are right off your fuel schedule --  
24 18.397 million, February 11 --

25 A. Eleven, yes.

1 Q. Okay.

2 A. Okay.

3 Q. So puts -- during the four-month period,  
4 Kentucky Power made profits from off-system sales of  
5 49,635,000; is that correct?

6 A. Yes.

7 Q. Now, if the Commission were to adopt the  
8 KIUC/Attorney General recommendation, your profits  
9 from off-systems sales would go down by 12.648  
10 million? Well, plus interest.

11 A. That's the calculation you made, yes.

12 Q. You would still -- excluding the interest for  
13 the time being, you would still have \$37 million in  
14 profits from off-system sales in the first four  
15 months of the year, even if the Attorney  
16 General/KIUC recommendation was adopted?

17 A. That's correct. But I would still only be  
18 getting \$44 million of the base investment in the  
19 Mitchell plant, and thus, you know -- and it would  
20 be going against the principles of the settlement  
21 agreement in Paragraph 7 with the opportunity.

22 So we're changing the way that the  
23 stipulation works for the benefit of not -- for an  
24 event, being the polar vortex and such, that no one  
25 was aware of.

1 Q. So if your profit margin from off-system  
2 sales in four months goes down from 49.6 million to  
3 37 million, that's still a lot of money, isn't it?

4 A. In comparison to what? I mean, it's a lot of  
5 money, yes.

6 MR. KURTZ: Okay. Your Honor, those are all  
7 my questions for now.

8 VICE-CHAIR GARDNER: Mr. Cook.

9 CROSS-EXAMINATION

10 By Mr. Cook:

11 Q. Just a couple of quick questions, Mr.  
12 Wohnhas. The Attorney General was not a party to  
13 the settlement and stipulation in the 2012-578 case;  
14 is that correct?

15 A. That is correct.

16 Q. And currently the Attorney General has that  
17 stipulation on appeal. Is that your understanding  
18 too?

19 A. That's correct.

20 MR. COOK: That's all.

21 VICE-CHAIR GARDNER: Okay. Thank you.

22 CROSS-EXAMINATION

23 By Mr. Raff:

24 Q. Good afternoon, Mr. Wohnhas.

25 A. Good afternoon, sir.

1 Q. I just have a couple of questions. In the  
2 four months of January through April 2014, did  
3 Kentucky Power allocate to native load customers any  
4 no-load fuel costs for Big Sandy Unit 2 for any hour  
5 that native load could have been met without power  
6 from Big Sandy 2?

7 A. I don't know the actuals of that, we'd have  
8 to ask Mr. Pearce, but in theory, no, all the costs  
9 would have been allocated to native load customers.  
10 Based on what we just discussed, if the units are  
11 running and --

12 Q. Well --

13 A. -- whether it's Big Sandy 1, 2, Mitchell, and  
14 to cover -- and if, for instance, you know, to cover  
15 the load, all the no-load costs would be assigned to  
16 the internal load, to the internal customers.

17 Q. So your answer is yes. My question was: For  
18 the four months of January through April, did  
19 Kentucky Power allocate to native load customers any  
20 no-load fuel costs for Big Sandy 2 for --

21 A. I'm sorry. But you're -- you're correct. It  
22 is yes.

23 Q. -- hours --

24 A. I'm sorry. I thought did not.

25 Q. Okay.

1 A. But yes.

2 Q. All right.

3 A. The answer is yes.

4 Q. It did. Okay.

5 A. I apologize.

6 Q. All right. Thank you. Mr. Kurtz asked you  
7 if you thought it was fair for native load customers  
8 to be charged fuel costs that were 50 percent higher  
9 than the fuel costs charged to off-system sales, and  
10 your response was yes because of the context whereby  
11 Kentucky Power is only being able to recover 44  
12 million of the cost of Mitchell Units 1 and 2? Is  
13 that a fair representation of what your response  
14 was?

15 A. I don't think so. And if -- let me try to  
16 fully explain. If that's -- the fact that the --  
17 due to the -- all the parameters, all the paragraphs  
18 in the stipulation and settlement agreement, you  
19 know, from the -- from the additional opportunity  
20 for off-system sales to only \$44 million through the  
21 ATR, right, when you take all the aspects of what  
22 was happening and the idea of the additional load,  
23 the Company did not change any part of their  
24 processes in the allocation of load.

25 We allocated no-load costs up to minimum to

1 internal load, native load customers before  
2 January 1st, 2014. We did that prior to joining  
3 PJM. All right. We did not change anything in  
4 relationship to that.

5 So when you then make the calculations as  
6 they -- as they fall out, having additional load,  
7 having the idea of all the units running and not  
8 changing the methodology, the idea that the  
9 calculation shows higher -- higher fuel costs to the  
10 internal load, all right, it is fair and reasonable  
11 based on everything that happened in the settlement  
12 and stipulation agreement. Does that help?

13 Q. Well, let me ask this: If Kentucky Power had  
14 been recovering 100 percent of the cost of Mitchell,  
15 the two Mitchell units, for January through April of  
16 2014, do you still think it would have been fair for  
17 your native load customers to have paid all of the  
18 no-load costs for Mitchell and Big Sandy, and the  
19 result being native load customers paying for fuel  
20 costs almost 50 percent higher than what is charged  
21 to off-system sale customers?

22 A. Well, in that assumption, you know, we would  
23 not, I'm sure, have been given the opportunity  
24 100 percent of the sales margins above the  
25 \$15.3 million, because we would have recovered all

1 of Mitchell through base rates.

2 And, however, during that interim time,  
3 again, not anticipating, but, you know, if we would  
4 have had the polar vortex, there still would have  
5 been an increase in the no-load costs unanticipated,  
6 you know, because we would have -- assuming we would  
7 have still had Mitchell and Big Sandy for that  
8 17-month period, even though all of it was in base  
9 rates, you know, there still would have been an  
10 increase in costs, fuel costs, that would have went  
11 to the native load customers, because that was the  
12 principle by which we've always allocated and we  
13 weren't changing that principle.

14 Q. So your answer is yes, even if you were  
15 recovering 100 percent of the Mitchell costs in base  
16 rates, it would still be fair to charge your native  
17 load customers significantly higher fuel costs than  
18 what would be charged to off-system sales.

19 A. It would definitely be reasonable based upon  
20 the past practice and not changing to -- in any way  
21 what we had done in previous; yes, sir.

22 Q. Okay. Is there a reason why you believe it's  
23 appropriate to charge native load customers for the  
24 no-load fuel costs during those hours where Big  
25 Sandy 2 is not needed for native load, other than

1 the fact that that's how you've been doing it for  
2 20 years?

3 A. Well, and I think Mr. Pearce will be better  
4 to give you, you know, the details of what happens  
5 when we bid in the units. You know, when we bid in  
6 the units each day -- or the day-ahead, I'm sorry,  
7 for the day-ahead, you know, we bid the units in,  
8 PJM decides whether they are accepted or not  
9 depending on the load, and we've heard that  
10 discussions earlier today, and the price. And then  
11 once they are bid in, we still do the economic  
12 dispatch of the highest -- the highest cost goes to  
13 off-system sales, whether that is Big Sandy, whether  
14 that is Mitchell, whether that is Rockport, that  
15 gets still assigned to the highest load -- the  
16 highest cost gets assigned to the off-system sales  
17 and it works its way down.

18 And a unit is not assigned in any particular  
19 day just to off-system sales or internal. It's bid  
20 in, and then we start the top-down approach, if it's  
21 accepted, down.

22 So to say that, well, you know, Big Sandy,  
23 you know, it -- it's -- again, it's not bid in just  
24 for off-system sales.

25 Q. All right. Well, are you saying that if the

1 no-load costs were charged to off-system sales, that  
2 the sales would have been made at a loss rather than  
3 at a profit?

4 A. No, I don't -- I'm not saying that at all  
5 from a -- you know, again, it's how we develop, you  
6 know, the cost for the economic dispatch. If you're  
7 going to assign more cost to off-system sales, all  
8 right, that changes how -- the cost that's bid in,  
9 and, you know, you take the risk of that not being  
10 accepted, not being available, depending on load,  
11 for even off-system sales or it reduces the margins  
12 that you have, and under a 60/40 split, forgetting  
13 the stipulation settlement, you know, 60 percent of  
14 those profits go back to the customer, and so -- and  
15 40 to the -- to the Company.

16 And so you lose, you know, some of that, and  
17 it is a benefit to both the Company and the  
18 customer, and you lose some of that.

19 Q. But the customer is paying 100 percent of the  
20 no-load and the Company isn't paying any, correct?

21 A. I'm sorry, I couldn't hear the rest of that.

22 Q. The customer is paying 100 percent of the  
23 no-load and the Company is paying none, correct, for  
24 the off-system sales?

25 A. The customer is assigned 100 percent of the

1 no-load. I keep -- I don't -- I'm missing the last  
2 part of your comment, sir.

3 Q. Well, you referred to the 60/40 split --

4 A. Yes, sir.

5 Q. -- and the fact that by being able to  
6 increase sales, it was a benefit to both the  
7 customer and the Company --

8 A. Yes.

9 Q. -- by being able to make more sales, but with  
10 respect to those sales, the 100 percent of the  
11 no-load costs are paid for by the customer --

12 A. By the internal customer.

13 Q. -- and none of those are paid for by the  
14 Company, correct?

15 A. That is correct.

16 Q. It didn't -- it doesn't come out of the  
17 Company's 60 percent share of the off-system sales,  
18 correct?

19 A. In the way it's established, in the way it's  
20 set up now, that is correct. Yes, sir.

21 Q. I seem to have lost my way here.

22 MR. PINNEY: What are you looking for?

23 MR. RAFF: I'm looking for the question.

24 Q. Could you please refer to page 7 and 8 of  
25 your rebuttal testimony?

1 A. I'm there, sir.

2 Q. Beginning at the bottom of -- if I can find  
3 it. Beginning at the bottom of page 7, could you  
4 read, starting at line 22, over through just the end  
5 of that sentence?

6 A. Yes, sir. (Reading) Paragraph 1 of the  
7 Stipulation and Settlement Agreement only provided  
8 the Company with a partial recovery -- I'm sorry,  
9 partial recovery, then in parens, 44 million  
10 annually or approximately 40 percent, end parens, of  
11 the estimated costs associated with Kentucky Power's  
12 50 percent undivided interest in the Mitchell  
13 generation -- generating station.

14 Q. Okay. Would you also refer to Kentucky  
15 Power's response to the Commission Staff's third  
16 request for information, Item 9, Attachment 1, page  
17 1? The top of the last column shows that the cost  
18 of the service impact for the Mitchell transaction  
19 after retirement of Big Sandy 2 was 81.244 million;  
20 is that correct?

21 THE WITNESS: Mark, I still don't have that  
22 copy. I'm sorry.

23 MR. GISH: It's KIUC Number 8.

24 THE WITNESS: Okay. Hold on.

25 A. And what was the number you were asking me to

1 look at?

2 Q. Oh, then -- yes. 81.244 million.

3 A. Yes. 81.244 million. Yes, sir.

4 Q. Would you be able to provide a schedule for  
5 each month of 2014 through the most current month  
6 that data is available which shows by month the  
7 60 percent portion of off-system sales margins that  
8 customers would have received under the 60/40 split  
9 but for the settlement agreement and the fact that  
10 the Company is retaining that 60 percent, and  
11 showing separately the bill credits that Kentucky  
12 retail customers would have received under the  
13 environmental surcharge if the surcharge had not  
14 been reset to zero in the Mitchell settlement  
15 agreement, and the amount associated with the asset  
16 transfer rider that retail ratepayers are currently  
17 paying for the Mitchell Units 1 and 2?

18 A. Let me summarize, if I could, just to make  
19 sure I understood what you're asking for, is that  
20 starting with January, to provide a calculation of  
21 what the -- starting with what you said the  
22 off-system sales tracker would have been with a  
23 60/40 split as --

24 Q. Yes.

25 A. Okay. And then a calculation of the

1 environmental surcharge, what it actually would have  
2 been not being -- had we not been to zero --

3 Q. Zero.

4 A. -- which I think is actually filed each month  
5 as a number, but we can provide it as part of this.  
6 And then I wasn't sure I understood the last.

7 Q. The monthly amount that is recovered through  
8 the asset transfer rider.

9 A. The ATR? Yes.

10 Q. Yes.

11 A. So you want that from January through the  
12 most recent --

13 Q. Whatever the most recent month available,  
14 yes.

15 A. We can do that.

16 Q. Thank you. All right. Also in your rebuttal  
17 testimony at page 11, beginning at line 6.

18 A. Yes, sir.

19 Q. Could you read that paragraph, please?

20 A. Yes, sir. (Reading) If Mr. Kollen's no-load  
21 cost allocation method were used, the Company's test  
22 year off-system sales margin would have been lower.  
23 As a result of the OSS margin credit against base  
24 rates -- I'm sorry. As a result, the OSS margin  
25 credit against base rates would have been lower.

1 The lower OSS margin credit would have required the  
2 amount recoverable through base rates to increase  
3 for the Company to meet its Commission-approved  
4 revenue requirement. Because they are interrelated  
5 methods for the Company to meet its Commission-  
6 approved revenue requirement, any decrease in the  
7 OSS margin credited against base rates must be  
8 balanced by a corresponding increase in the amount  
9 of recoverable through base rates. Mr. Kollen's  
10 approach ignores this fundamental concept and must  
11 therefore be rejected.

12 Q. What you're referring to in this paragraph is  
13 how revenue requirements are determined in a base  
14 rate case; is that correct?

15 A. That is correct, sir.

16 Q. Okay. And in Kentucky Power's last base rate  
17 case, a 60/40 sharing for off-system sales margin  
18 was established, correct?

19 A. That is correct.

20 Q. And that 60/40 sharing is no longer in effect  
21 temporarily?

22 A. Temporarily; that is correct.

23 Q. Okay. And that change occurred outside of a  
24 base rate case, did it not?

25 A. It did.

1 Q. So is it your testimony that it's acceptable  
2 to change the off-system sharing mechanism outside  
3 of a base rate case, but the fuel allocation  
4 methodology shouldn't be changed outside of a base  
5 rate case?

6 A. What we're saying is if you change the fuel  
7 allocation process outside of a base rate case, that  
8 it has an impact on the off-system sales margins  
9 that you would collect, and but -- what was in the  
10 base, and therefore you end up with a mismatch or,  
11 you know, tracked cost of those -- the inequity  
12 between how your base was -- your off-system sales  
13 base was established and what is being collected.

14 Q. Are you aware of the Commission's fuel  
15 adjustment clause regulation which is set forth in  
16 807 KAR 5:056?

17 A. I'm aware; yes, sir.

18 Q. Okay. Will you accept, subject to check,  
19 that in that regulation, Section 1, Paragraph 11  
20 states as follows: "At six-month intervals, the  
21 commission will conduct public hearings on a  
22 utility's past fuel adjustments. The commission  
23 will order a utility to charge off and amortize, by  
24 means of a temporary decrease of rates, any  
25 adjustments it finds unjustified due to improper

1 calculation or application of the charge or improper  
2 fuel procurement practices."

3 If the Commission were to determine -- and  
4 now this is the question. If the Commission were to  
5 determine that Kentucky Power has erroneously  
6 allocated a portion of its fuel costs under the FAC  
7 for the period under review in this case, is it your  
8 testimony that the Commission should ignore the  
9 provision of the FAC regulation that says rates  
10 should be decreased if there is an improper  
11 calculation or application of the fuel adjustment  
12 clause?

13 A. Not at all. All that we're stating is that  
14 if you're going to make an adjustment of  
15 disallowance or whatever it might be because that  
16 change in the fuel, in the -- in the allocation  
17 change to off-system sales has another impact, that  
18 in order to match everything up that it be at the  
19 same time as a base rate case.

20 Not -- we're not saying that you don't, you  
21 know, have the ability to make that change, just  
22 understanding that it creates a mismatch.

23 Q. Okay. Well, the Company doesn't currently  
24 have a base rate case pending here, does it?

25 A. It is going to file notice of one Friday.

1 Q. Okay. And so I guess it'll be filed --

2 A. End of December.

3 Q. -- in December?

4 A. And with the -- you know, the idea of the  
5 five-month extent -- or extension, I forget the  
6 time, it would be basically rates would go into  
7 effect roughly July 1st of 2015.

8 Q. Okay. And the case of -- rate case will be  
9 filed using a historic test year?

10 A. An historic test year of September 30th,  
11 2014, 12 months into September 30th, 2014.

12 Q. Okay. So, you know, I'm trying to kind of  
13 understand your prior answer about wanting the  
14 Commission to -- if we -- if we were to determine  
15 that there was some erroneous calculation or  
16 application of the FAC, to recognize some kind of an  
17 offset, if you will, or a counter-adjustment in a  
18 base rate case, what we're talking about here are  
19 costs from January through April of 2014, and if  
20 there was a determination that there was some  
21 erroneous calculation of those costs, are you  
22 suggesting that in the -- in your next base rate  
23 case that there would be some way to offset the  
24 erroneous charges from January through April of  
25 2014?

1           A.       I think what we're saying, sir, is that if  
2           you were to -- if we were to calculate whatever the  
3           amount would be that the Commission felt was  
4           misallocated, whatever that might be, is that in  
5           order to try to be -- to, as neatly as possible,  
6           time everything up, that amount could be adjusted  
7           even still through the fuel adjustment clause  
8           application, be -- but be made as a one-time  
9           adjustment in, let's say, July of 2015. I'm not  
10          sure what the proper time would be, but you could  
11          make that adjustment as a one-time adjustment in  
12          sequence with when base rates are is all that we're  
13          making the statement of.

14          Q.       Okay. I'm still not exactly clear, but let  
15          me -- are you suggesting that if the Commission were  
16          to determine that there had been an erroneous  
17          calculation of the FAC, that rather than issuing an  
18          order within the next six to eight months, that the  
19          Commission hold up that order until such time as it  
20          issues an order in your to-be-filed base rate case  
21          so that any reduction or credits that had to be paid  
22          under your FAC would seem to be -- maybe not exactly  
23          offset, but the total revenues that the Company --  
24          it would just reduce, on a one-time basis, the  
25          additional revenues that the Company would receive

1 from the base rate increase?

2 A. Basically, yes, sir, because -- again, it's  
3 because the 15.3 million that's in base rates was  
4 based on that allocation method, and, you know,  
5 trying to make all the adjustments outside, it was  
6 trying to synchronize them all up, is going to  
7 create some costs, and that -- what you just said I  
8 think is proper.

9 Q. Okay. In your rebuttal testimony at page 13,  
10 the table which shows the return on equity, would  
11 you be able to provide the supporting calculations  
12 for the return on equity amounts that are shown for  
13 the years 2010 through 2014?

14 A. Absolutely.

15 Q. Page 17 of your rebuttal testimony, beginning  
16 at line 12, where you say that "not aware of any FAC  
17 proceeding where an adjustment (credit or charge)  
18 has ever included interest at any rate," would you  
19 accept, subject to check, that the Commission did  
20 order Big Rivers to pay interest on disallowed fuel  
21 costs in PSC Case 1990-360-C?

22 A. Subject to check; yes, sir.

23 Q. Okay. Based on your -- on the question and  
24 your response to the prior question, would it be  
25 safe to assume that if the Commission were to find

1 that some fuel costs were improperly calculated or  
2 allocated and costs were disallowed, that it's the  
3 Company's position that it would prefer to record it  
4 on its books in 2015 rather than 2014?

5 A. Yes.

6 Q. Okay.

7 MR. RAFF: Did we skip Number 7?

8 MS. WHELAN: Yeah.

9 A. Let me just expound a little bit in thinking  
10 about that. I mean, if -- from a -- from an  
11 accounting perspective, you know, we would always  
12 much rather incur the costs in the -- in the year  
13 that -- match it up with when it occurred.

14 So if the Commission were to rule that, you  
15 know, there was going to be that disallowance or a  
16 change in that, what we would do, when we know that  
17 that was coming in, we would probably book a  
18 deferral of that in 2014 to match it up and then  
19 reverse that when it actually took place. It --

20 Q. And what would be the --

21 A. Now, if we did -- if we didn't know -- if  
22 there wasn't an order out by the time we closed our  
23 books in December, you know, it would get booked in  
24 2015, but, you know, from a -- from an accounting  
25 perspective, you know, the idea is to match up, you

1 know, the costs with when they incurred, and that  
2 would be in 2014.

3 Q. So you're saying that if you do not have a  
4 definitive decision from the Commission by  
5 December 31, 2014, that you would close your books  
6 and any subsequent decision that might affect the  
7 fuel costs would be booked in 2015 --

8 A. Yeah. It's --

9 Q. -- or is there a --

10 A. No, that's a good --

11 Q. -- point in time within 2015 that if the  
12 Commission issued an order, that you would still  
13 reflect it on your 2014 books?

14 A. Up until approximately -- I don't know the  
15 exact date, but approximately the third week of  
16 January, if we knew something up to that point in  
17 time, we would still book it as of 2014 'cause the  
18 books -- we normally close around the seventh or  
19 eighth workday of any month. December being the end  
20 of the year, we have an extended period of time, so  
21 approximately the third week of January.

22 Q. And at page 6 of your rebuttal testimony,  
23 beginning at line 19, could you read that sentence,  
24 please?

25 A. That starts with "Had the Company"?

1 Q. "Had the Company's."

2 A. Okay. "Had the Company's service territory  
3 experienced weather during the winter of 2014  
4 similar to that experienced during the winter of  
5 2013, the demand for the Company's energy would not  
6 have been nearly as high as was experienced during  
7 the winter of 2014 and the no load costs would have  
8 been lower."

9 Q. By that statement do you mean that either Big  
10 Sandy Unit 2 or one of the Mitchell units would not  
11 have operated if the winter of 2014 was similar to  
12 the winter of 2013?

13 A. Some of the units would not have. And again,  
14 you get your units and you -- whatever's available,  
15 you bid them in, but if there's not a supply, you  
16 know, for that, and so then they get denied based on  
17 the highest price, so it is possible that many of  
18 the units would not have been accepted into the --  
19 to the bid that day.

20 Q. But the units would have run to make  
21 off-system sales if they were --

22 A. Only if there's --

23 Q. -- the price was accepted.

24 A. Only if there's a market. I mean, that's  
25 what I'm saying, with the mild weather of 2013,

1 there wasn't a market, so you can't run them if  
2 there's nothing to -- no one to sell them to.

3 Q. Do you know whether there was a market in the  
4 winter of 2013 for off-system sales?

5 A. That's the point, there wasn't much of a  
6 market. I think Mr. Pearce can tell you better  
7 about what the market was, but the market was, there  
8 was not much of an off-system sales market in 2013.

9 MR. RAFF: Thank you, Mr. Wohnhas. I have no  
10 further questions.

11 THE WITNESS: Thank you, sir.

12 VICE-CHAIR GARDNER: We'll take a short  
13 break, we'll come back at ten after 5:00.

14 MR. OVERSTREET: Thank you.

15 (Recess from 5:00 p.m. to 5:12 p.m.)

16 VICE-CHAIR GARDNER: Have a seat. You are  
17 still under oath, Mr. Wohnhas.

18 THE WITNESS: Yes, sir.

19 FURTHER CROSS-EXAMINATION

20 By Mr. Raff:

21 Q. Mr. Wohnhas, I have one follow-up, at least  
22 one follow-up. And if you would refer to -- I guess  
23 it was KIUC Exhibit 8, the last page, which was the  
24 revised calculation submitted in this case  
25 reflecting the projected -- I'm sorry. That was

1 the -- the original calculation from Case 2012-578  
2 of the increase in cost from January 2014 through  
3 June of 2015 for the middle column, Mitchell  
4 Transfer Overlap Period, and it was originally  
5 projected to be 5.33 percent. And then the KIUC  
6 Exhibit 1, which was the revised calculation that  
7 was submitted in this case, which shows that increase  
8 going from the 5.33 percent to the 12.81 percent.  
9 Do you see those two?

10 A. I do, sir.

11 Q. And it was my understanding that you said the  
12 increase was a result of the polar vortex and the  
13 no-load costs?

14 A. No. Well, I mean, the -- we added on an  
15 annual basis \$38 million of -- of no-load costs, and  
16 what we said is that for the January -- we're saying  
17 for the January through April time period, the  
18 increase in that no-load cost there was primarily  
19 contributed to the polar vortex.

20 Q. Okay. Well, how much of the no-load costs  
21 were included in the original calculation leading up  
22 to the 5.33 percent?

23 A. I don't know. We didn't go back and -- I  
24 don't have that number.

25 Q. Do you know whether any were included in

1 there?

2 A. Well, it would. We would have had no-load  
3 cost, because there was no-load cost always  
4 during -- you know, in our cost of service, so I  
5 would have to -- I'd have to go back and see what  
6 that amount is.

7 Q. All right. Could you do that for the -- how  
8 much of the no-load costs were included in the  
9 original exhibit which shows the 5.33 percent  
10 increase and how much were the no-load costs  
11 included in the revised exhibit showing the  
12 12.81 percent increase?

13 A. Yes, sir.

14 MR. RAFF: Thank you. I believe that's all  
15 the questions we have at this time, Your Honor.

16 VICE-CHAIR GARDNER: Do you have any  
17 questions? Do you have any questions?

18 EXAMINATION

19 By Commissioner Breathitt:

20 Q. Mr. Wohnhas, you've testified that this way  
21 of calculating the FAC with no-load costs has been  
22 used by the Company for 30 years.

23 A. At least 30 years, yes.

24 Q. And by the Company, you -- do you mean  
25 Kentucky Power and -- and all of AEP subsidiaries?

1 A. Yes, all -- I mean, Kentucky Power, but then  
2 the other subsidiaries -- subsidiaries do the same  
3 methodology.

4 Q. Since you've been with Kentucky Power, have  
5 there been any instances that you recall where  
6 there's been a weather situation or any other type  
7 of situation that caused such a noticeable jump?

8 A. I mean, not that I'm aware of.

9 Q. And I might not be artfully asking the  
10 question, but -- so this -- so what I just heard you  
11 say, that this may be the first time this has  
12 ever -- something like this has ever happened?

13 A. Well, you also have to realize is that this  
14 is the first time, though, that we have had, you  
15 know, two additional units, you know, the two  
16 Mitchell units, and, you know, those Mitchell units,  
17 you know, not only for the purposes that I've  
18 mentioned, off-system sales, but those units during  
19 this polar vortex were a hedge for Kentucky Power.

20 In Mr. Pearce's testimony, he showed that  
21 without having Mitchell available during the months  
22 of -- I think it was January through March, that we  
23 would have incurred roughly 9.9 or almost  
24 \$10 million in additional costs that customers would  
25 have paid in fuel by having to go out to the market

1 and purchase energy instead of having Mitchell. So  
2 that -- having that excess capacity was a hedge  
3 during this polar vortex.

4 It's also having the ability of these units  
5 available is that if a unit goes down. If a unit is  
6 currently being assigned to an off-system sale --  
7 let's say that as you come down -- just for an  
8 example, let's just say that Big Sandy 2 is  
9 currently being assigned to an off-system sale based  
10 on the economic dispatch, and let's say that  
11 Mitchell was currently being used to provide the  
12 internal load. If that Mitchell Unit 1 would go  
13 down, then the Big Sandy 2 unit would then  
14 automatically be used -- be available to go to serve  
15 that internal load versus any -- or whatever the  
16 cheapest addi -- supplemental power would be to  
17 serve that.

18 So that having these units is a hedge  
19 against, you know, things that would happen like  
20 that. So it's -- and that's probably more important  
21 than, quote, the off-system sales.

22 Q. If Kentucky Power had still been in the pool,  
23 is there any way to know what -- no way to know?  
24 You can't put the genie back in the bottle?

25 A. No, you can't -- that's -- that's correct.



1 back, and in the meantime the stipulation -- there  
2 was -- there was thinking at the time the case  
3 started that there was going to be a stipulation,  
4 and then there was a break and then we came back  
5 later for the hearing on the stipulation. Is  
6 that -- is my memory correct on that?

7 A. I know that we provided a draft of a  
8 stipulation, I believe it was on July 2nd or -- I'm  
9 just not sure of the dates. That was whatever.

10 Q. Okay.

11 A. But then we continued with the hearing.

12 Q. Okay.

13 A. I just don't remember the actual chronology.

14 Q. The -- do you remember when, at a hearing,  
15 and I believe it was early -- it was in this case  
16 when it first started, that a -- the fifth set of  
17 data requests was actually asked, which was to  
18 prepare the chart that we've been referring to,  
19 which shows the fact --

20 A. Five-ten?

21 Q. Pardon me?

22 A. Five-ten?

23 Q. Yeah, yeah, yeah. So you're -- you're -- you  
24 recall that?

25 A. Yes, sir.

1 Q. Subject to check, this was filed on the same  
2 day that the -- and I could be wrong, as the  
3 stipulation was filed? Is that possible? This says  
4 June 26 is when this was --

5 A. That was the order dated June 26, which -- it  
6 could have been real close to that date.

7 Q. Okay.

8 A. Normally we have ten days or so, so --

9 Q. All right. In any event, this -- you're  
10 aware, aren't you, that this stipulate -- this data  
11 request was important to the Commission?

12 A. Yes, sir.

13 Q. Okay. And, in fact, it was actually -- the  
14 number, the 5.33 percent, was actually mentioned in  
15 the order approving the stipulation. That wouldn't  
16 surprise you, would it?

17 A. Not at all.

18 Q. Okay. Now, did I understand you to say that  
19 basically from the Company's perspective, this is  
20 fair because you-all were giving -- you-all were  
21 giving up roughly, you know, the -- you know, 138 to  
22 44 million, you -- 44 million, you were giving up a  
23 lot of potential revenue that you would otherwise be  
24 entitled to if it were not for the stipulation?

25 A. Yes, because part of that stipulation, as you

1 recall, was that we pulled the base rate case, all  
2 right, and basically now we're going to file it  
3 coming up, but that was part of that give was  
4 pulling that rate case --

5 Q. And --

6 A. -- to get the full recovery of Mitchell.

7 Q. And so you -- so it's -- so this is fair, and  
8 that makes it seem as if at the time you-all knew  
9 that this -- that there would be no-load costs on  
10 these off-system sales where the Company got 100  
11 percent of it above the 15 million, that there would  
12 be -- it makes it seem like you-all are aware --  
13 were aware at the time that there would be no-load  
14 costs, because it's something that had happened all  
15 along.

16 A. I'm may -- let me -- I'm not sure I  
17 understand exactly what you're saying, but you're  
18 right, no-load costs has always been assigned to  
19 internal.

20 Q. And the Company knew about the concept of  
21 no-load costs at the time of the --

22 A. We knew of --

23 Q. -- at the time of the --

24 A. Sure.

25 Q. -- stipulation?

1 A. We knew of the concept of no-load costs, but  
2 was under -- and looking at, you know, what we  
3 thought was going to happen, did not see that those  
4 in total no-load costs would change.

5 Q. Okay. And -- but you knew that -- although  
6 you were getting 100 percent of the profits, you  
7 knew that the no -- because -- and you had all these  
8 extra -- you had two more units, you had the 800  
9 megawatts of Mitchell to add to the fleet. Even  
10 without the -- even without the polar vortex,  
11 you-all knew that there were going to be no-load  
12 costs assigned to customers because there would  
13 likely be an increase in off-system sales, because  
14 now you had now Big Sand -- I mean now Kentucky  
15 Power owned an additional 800 megawatts.

16 A. The part that that -- that I think is  
17 incorrect there is that we did not know that there  
18 would be additional off-system sales. We only put  
19 in the provision for 100 percent of the recovery  
20 over \$15 million as just an offset to, again, giving  
21 up 60 percent of Mitchell, and the fact that if  
22 there was an opportunity, we could make that, but we  
23 did not have anything -- and matter of fact, in some  
24 of the data requests that was filed about what we  
25 thought earnings would be and such, and it was under

1 confidentiality, but the idea was the only thing  
2 that we made an adjustment for was the idea instead  
3 of getting only 40 percent of what we thought the  
4 current sales level was forecasted, we'd get the  
5 other 60 percent. So we did not anticipate that we  
6 would have additional off-system sales.

7 Q. Okay.

8 A. We were just -- that was just a hedge that if  
9 it was there, we could do it.

10 Q. Okay. And what amount did you figure in as  
11 you budgeted this of off-system sales there would be  
12 at the time? You just said that you didn't --

13 A. Sure.

14 Q. -- expect it to be as great as it was, so  
15 what amount did you anticipate at the time that the  
16 customers, that the consumers would be responsible  
17 for?

18 A. We showed an additional \$10 million of  
19 margins, which would be picking up the additional  
20 60 percent if the -- if the basically market was the  
21 same as the previous year.

22 Q. Okay. So -- and did you -- did -- was that  
23 shown in any of these calculations, that 10 million?

24 A. No.

25 Q. Okay. Did -- when did you personally have

1 your first discussion about no-load costs?

2 A. November of 2013.

3 Q. Is that the first time you heard of it?

4 A. It was actually the first time I had heard of  
5 no-load costs.

6 Q. Okay. And how did you hear about the concept  
7 of no-load costs?

8 A. Witness Pearce, as he, you know, came down to  
9 discuss just as -- with Kentucky Power how -- the  
10 idea of a few minor changes, as he can describe and  
11 was in his testimony, were going to happen around  
12 different things that would be included in no-load  
13 costs, and so that was the first time.

14 Q. Okay. And so then clearly -- if you didn't  
15 know about it until November of '13, then clearly  
16 Commission Staff nor none of the parties would have  
17 heard the concept from you.

18 A. Not from me.

19 Q. It's --

20 A. And I don't know -- and again, I don't -- not  
21 been able to talk to my predecessor, but I -- you  
22 know, I don't -- I never remember him discussing it  
23 either, so -- but I don't know if he was ever aware  
24 of that terminology either.

25 Q. Okay.

1 A. You know, there were a handful in Columbus  
2 that dealt with it on a daily basis that, you know,  
3 were aware, but --

4 Q. So you didn't -- you didn't understand when  
5 you were -- when you signed the -- when you  
6 signed -- when you proffered the testimony to accept  
7 the stipulation, you didn't -- at that time you  
8 didn't know about the no-load cost concept, so there  
9 was no way you could have apprised the Commission,  
10 Commission Staff, or any of the parties about the  
11 risk that 100 percent of the sales -- that there  
12 would be an incentive on you-all, plus you've got  
13 Mitchell to run, and that the customers would be  
14 paying a certain level for every dollar that got  
15 sold in off-system sales, 'cause you didn't  
16 understand the risk at that point?

17 A. We made contacts, you know, as -- again, as  
18 Witness Allen as I -- and I were in the settlement  
19 discussions, you know, we made contacts as we were  
20 having -- in the settlement back with folks in  
21 Columbus, but we never got down, the best I know, to  
22 the detail of down that deep about no-load costs.

23 Q. But it wasn't mentioned at all?

24 A. Not that I'm aware.

25 Q. Okay. Even in your internal deliberations

1 about whether -- how to -- how to negotiate this,  
2 you don't have any recollection of that?

3 A. I don't -- I don't have any recollection.

4 Q. And, in fact, it was November that you  
5 realized that that would -- that you heard about the  
6 concept for the first time?

7 A. And in those discussions there was still no  
8 indication that it would have any effect on anything  
9 that was established through the stipulation and  
10 settlement agreement.

11 VICE-CHAIR GARDNER: Okay. So -- okay. I  
12 think that's all I have. Thank you.

13 COMMISSIONER BREATHITT: May I -- may I ask  
14 one quick?

15 VICE-CHAIR GARDNER: Sure.

16 REEXAMINATION

17 By Commissioner Breathitt:

18 Q. Mr. Wohnhas, you just testified that you  
19 became familiar with the term no-load in November of  
20 last year?

21 A. Yes, ma'am.

22 Q. But the Company has been using the -- this --  
23 the accounting method for 30 years?

24 A. Yes.

25 Q. Was it just buried deep in the Company?

1 A. Yeah, there -- you know, there's not an --  
2 you know, when you think about, you know, fuel is  
3 Account 501 when we talk about fuel. You know,  
4 there's not a separate account number for no-load  
5 costs. There's not -- you know, it's not that --  
6 it's just a part of that fuel cost, and, you know,  
7 we have dispatched under -- I mean, we've allocated  
8 based on the economic dispatch principle long  
9 before -- you know, it probably wasn't even called  
10 no-load costs back when it was initially there.

11 As you've heard this morning, you know, I  
12 think in the LG&E/KU, they have that cost, but they  
13 don't -- and they said they don't use it -- they  
14 don't use the terminology no-load, so --

15 COMMISSIONER BREATHITT: Thank you.

16 THE WITNESS: You're welcome.

17 VICE-CHAIR GARDNER: Mr. Overstreet.

18 MR. OVERSTREET: Okay. Thank you.

19 REDIRECT EXAMINATION

20 By Mr. Overstreet:

21 Q. Mr. Wohnhas, I want to see if I can clarify a  
22 few things and then discuss a few matters with you,  
23 if I might. I think you were asked, and it may have  
24 been -- I think it may have been Mr. Kurtz, about  
25 who dispatches Big Sandy and Mitchell and Rockport

1 and the Company's units, and I think you indicated  
2 that that was, quote, Columbus, i.e., AEP; is that  
3 accurate?

4 A. No. It's -- you know, the people in Columbus  
5 that I referenced to are the ones that offer those  
6 units into PJM, but PJM actually dispatches the  
7 units.

8 Q. Okay.

9 A. So slight clarification.

10 Q. And we heard sort of the same sort of thing  
11 from some other PJM utilities earlier today.

12 A. That's right. You know, our people in  
13 Columbus just offer the available units in each day.

14 Q. And Mr. Raff was asking you some questions  
15 about the fact that the sharing mechanism, the  
16 60/40, 60 percent to the Company's customers,  
17 40 percent to the Company, of off-system sales  
18 margins was changed during the -- as a result of the  
19 July 2nd stipulation and settlement agreement. Do  
20 you remember that discussion?

21 A. I do.

22 Q. Now, that sharing mechanism only relates to  
23 off-system sales margins above and beyond the  
24 15.3 million that are baked into base rates; isn't  
25 that correct?

1 A. The 100 percent?

2 Q. Yes.

3 A. Yes. That's correct.

4 Q. Okay. And isn't it true that as part of the  
5 stipulation and settlement agreement, the Company  
6 agreed to withdraw its then pending rate case?

7 A. That is correct.

8 Q. So this change was made in the context --  
9 even though it wasn't in exactly that case, in the  
10 context of a rate case?

11 A. Yes, because the rate case was for the  
12 purpose of getting full recovery of Mitchell, and as  
13 part of the settlement, these other changes were  
14 made and we pulled the base rate case.

15 Q. Okay. And the -- Mr. Raff was asking you  
16 some questions about, I guess for lack of a better  
17 description, you know, timing of any -- of the  
18 accounting effects or the booking of any change that  
19 the Commission might make in connection with this  
20 case, the -- when the Company would like -- you  
21 know, does it basically want to book it in 2014 and  
22 2015. Do you -- do you remember that discussion?

23 A. I do remember that discussion, yes.

24 Q. Okay. Now, does the Company believe that its  
25 allocation of no-load costs in the manner that it

1 has done during this review period is incorrect or  
2 serves as a basis for the Commission to make such a  
3 disallowance, if you will?

4 A. Absolutely not. I mean, we -- I would still  
5 hold that, you know, because of the stipulation and  
6 settlement agreement and all the parameters of that,  
7 you know, that there should be no changes prior to  
8 July 1st, 2015.

9 Q. And so your discussion with Mr. Raff about  
10 when and whatnot, were you referring to the -- any  
11 sort of charge in connection with that or were you  
12 talking about the change in the methodology for  
13 allocation?

14 A. The change in the methodology.

15 Q. Okay. Now, Mr. Wohnhas, I think you've  
16 testified on several occasions here this afternoon  
17 that to your knowledge the Company's been allocating  
18 no-load cost -- no-load costs in this fashion for  
19 approximately 30 years, if not longer.

20 A. Yes, sir.

21 Q. Okay. And did the Company believe that that  
22 allocation was fair, just, and reasonable ten years  
23 ago when it was doing it?

24 A. Absolutely.

25 Q. And so that allocation and the fairness of

1 that allocation has nothing -- it wasn't changed by  
2 the fact that there was a July 2nd stipulation and  
3 settlement agreement; is that true?

4 A. Not at all.

5 Q. Okay. And in talking in terms of whether the  
6 allocation is fair or not, and I understand Mr.  
7 Pearce will discuss some -- maybe some more the  
8 intricacies of the allocation, but is it fair --  
9 well, strike that.

10 What do the customers get for the fact -- by  
11 paying these no-load costs -- no-load costs?

12 A. Well, they get a number of things. You know,  
13 one, they get a reliable unit that's going to be  
14 around for 25 years. All right. Big Sandy 2 is  
15 going to go away and so we're going to have that  
16 unit.

17 Two, during this time that they're there,  
18 those units are a hedge as to events such as a polar  
19 vortex. And having Mitchell on there, as Mr. Pearce  
20 will describe, they saved the comp -- the customers  
21 about \$10 million.

22 As I stated before, it's a hedge on the fact  
23 that if you have units and you -- and it happens, as  
24 units go down during the day for, you know, a forced  
25 outage due to a tube leak, all right, that might

1 happen, and so now it's down, you know, you have  
2 those other units that then are taken -- if they're  
3 least cost, then taken and provided to your internal  
4 customers versus the off-system sales.

5 Kind of went blank from that point on. I'm  
6 sorry.

7 Q. That's fine. So the no-load costs give the  
8 customers the first call on the Company's generating  
9 facilities?

10 A. Absolutely.

11 Q. And this acts as sort of like an insurance  
12 policy?

13 A. It does. It's a hedge, yes.

14 Q. And in the first four months of 2014, Mr. --  
15 is it -- is it your understanding of Mr. Pearce's  
16 testimony that the -- that notwithstanding the  
17 additional no-load costs that were incurred  
18 following the Mitchell transfer and as a result of  
19 the polar vortex, the Company is \$9.9 million better  
20 off than if it didn't have Mitchell and had to go to  
21 market?

22 A. Yes.

23 Q. Okay. I'm sorry. Let me strike that.

24 That the customers are \$9.9 million better  
25 off?

1 A. Yes. Yeah, customers are. Yes.

2 Q. Okay. And Mr. Kurtz was talking about the  
3 Company's increase in off-system sales margins  
4 following the Mitchell transfer. Do you remember  
5 that discussion you had with him?

6 A. Yes, sir.

7 Q. Did anything else increase effective  
8 January 1, 2014?

9 A. Yes. You know, we had the -- you know,  
10 again, the equity of Mitchell being added to our  
11 base as being an operating company was -- you know,  
12 and the costs associated with those was incurred by  
13 the Company.

14 Q. So these margins went up, but also the  
15 Company's -- the amount of equity --

16 A. Equity balance went up, yes.

17 Q. And so the Company's return on equity was  
18 affected?

19 A. Yes, it was.

20 MR. OVERSTREET: I think that's all I have.  
21 Thanks, Mr. Wohnhas.

22 VICE-CHAIR GARDNER: Mr. Kurtz.

23 MR. KURTZ: No questions, Your Honor.

24 MR. COOK: I have a few questions.

25

## 1 RE CROSS-EXAMINATION

2 By Mr. Cook:

3 Q. Mr. Wohnhas, I believe you said earlier that  
4 there's a handful in Columbus who were aware of the  
5 concept of no-load costs, correct?

6 A. Yes, I did.

7 Q. Okay. Kentucky Power is an independent  
8 company, is it not, corporation?

9 A. I mean, yes, we're part of --

10 Q. Incorporated in the state of Kentucky?

11 A. That's right. But we're part --

12 Q. Yes.

13 A. -- of the -- the AEP system.

14 Q. Right. Okay. And this handful of people in  
15 Columbus, Ohio, who were aware of this concept, do  
16 they work for the Serv. Co.?17 A. They are -- they are an AEPSC employee, but  
18 they commun -- we communicate with them regularly  
19 with all types of -- whether it's that group or  
20 another group.

21 Q. Exactly.

22 A. Yeah, we do --

23 Q. And isn't it true that Kentucky Power relies  
24 to a very great degree on the judgment, expertise,  
25 and experience of Serv. Co. employees?

1 A. Employees within that department, employees  
2 at -- in accounting, employees in tax. We do not  
3 have all those employees sitting here under Kentucky  
4 Power, so yes, we do --

5 Q. Exactly.

6 A. -- rely on them.

7 Q. Exactly. And this handful of employees in  
8 Columbus, did any of them testify in this case?

9 A. Yes. One of them is Mr. Kelly Pearce.

10 Q. All right. Is the Company obligated by  
11 Kentucky law to provide electric service to its  
12 native load ratepayers?

13 A. I'm sorry. I didn't quite catch that  
14 question.

15 Q. Is Kentucky Power obligated by Kentucky law  
16 to provide electric service to its native load  
17 ratepayers?

18 A. Yes.

19 Q. Okay. And in the event the Commission should  
20 agree with the KIUC and AG recommendation, would you  
21 agree that an interest penalty should be assessed in  
22 addition to that?

23 A. No, I do not.

24 Q. And why is that?

25 A. Again, subject to check on what Mr. Raff said

1 is maybe a 1990 case, it's not been something that  
2 has ever been done as a precedent.

3 Q. Uh-huh. Would Mr. McKenzie have known about  
4 no-load costs?

5 A. Who?

6 Q. Mr. McKenzie. I'm sorry. Munczinski? Am  
7 I --

8 A. Oh, Mr. Munczinski. I'm sorry.

9 Q. I apologize for not pronouncing it --

10 A. That's okay. You mean prior to this --

11 Q. Yes.

12 A. -- to this thing? I believe he was. All  
13 right. I can't -- I can't answer definitively.

14 Q. Now, Kentucky Power filed a rate case that I  
15 believe under redirect from your attorney you just  
16 discussed, and that was withdrawn under the terms of  
17 the settlement, correct?

18 A. That is correct, sir.

19 Q. Okay. Wasn't the filing of that case for the  
20 purpose of prodding the parties to settle?

21 A. No. Not at all. It was for the purpose  
22 of -- our idea going in was that we wanted 100  
23 percent of Mitchell, and so in order to get that, we  
24 had to file that rate case, even though the  
25 transact -- the 578 was going on, I mean, our

1 purpose was to get the full recovery of Mitchell.

2 MR. COOK: No further questions.

3 VICE-CHAIR GARDNER: Mr. Raff.

4 MR. RAFF: Yeah, just one.

5 RE-CROSS-EXAMINATION

6 By Mr. Raff:

7 Q. Following up on a question that your counsel  
8 asked you, which I think was that the Kentucky Power  
9 ratepayers benefitted during the months of January  
10 through April by having the Mitchell unit because  
11 they saved 9.9 million in costs that otherwise would  
12 have been incurred if they had to buy power from the  
13 market; was that --

14 A. Yeah. Mr. Pearce has a -- has a calculation  
15 in his testimony that, you know, looks at if  
16 Mitchell had not been in our portfolio, and so at  
17 the times of using Mitchell, if we'd've had to gone  
18 out to the PJM market during those hours, at the  
19 prices that happened, that it would have been  
20 approximately \$10 million.

21 Q. Okay. Could you refer to your response to  
22 Staff's first --

23 A. Staff, which --

24 Q. Yeah, Staff's first set of data requests,  
25 Item 29. There was a four-page response and then

1 there's an attachment, and it's Attachment Number 2,  
2 page 1 of 1.

3 A. Yes, sir.

4 Q. And it's titled No Load Costs November 2012  
5 through April 2014 for Kentucky Units?

6 A. Yes, sir.

7 Q. And if I look at the columns Mitchell 1 and  
8 Mitchell 2, it shows that for the four months of  
9 January through April of 2014 that the no-load costs  
10 for Mitchell 1 were 5,675,000, and Mitchell 2  
11 7,479,000, and if I add those two together, I get  
12 13.1 million?

13 A. Yes, sir.

14 Q. Is that about right? So are we saying that  
15 by having Mitchell for the first four months of  
16 2014, the ratepayers saved \$9.9 million by not  
17 having to buy power on the market, but they paid out  
18 13.1 million for no-load fuel costs?

19 A. I don't think you can make that correlation,  
20 but I'll ask you to defer that to Mr. Pearce and let  
21 him explain that, if you would, please.

22 Q. So why don't you think you can make that? Do  
23 you have a reason for --

24 A. Well, I think Mr. Pearce would be better to  
25 answer that, and I don't want to lead off in

1 something that I'm not fully aware of.

2 Q. But you said you don't think you can make  
3 that correlation. Do you have a reason for saying  
4 that you don't think you can make that correlation?

5 A. It's because I don't fully -- I don't know  
6 all the details on how he calculated his 9.9, so  
7 it's better for him to answer the question.

8 Q. So would it be more accurate to say you don't  
9 know whether you can make the correlation or not?

10 A. That would be fine. Mr. Pearce would be one  
11 that can make that --

12 MR. RAFF: Okay. Thank you. No further  
13 questions.

14 VICE-CHAIR GARDNER: Any further?

15 MR. OVERSTREET: Just one question.

16 REDIRECT EXAMINATION

17 By Mr. Overstreet:

18 Q. Mr. Wohnhas, when the com -- when the --  
19 through the course of a fuel adjustment clause  
20 proceeding it turns out that the Company has  
21 underrecovered its fuel costs, does the Company get  
22 to charge its customers interest on that  
23 underrecovery?

24 A. No, it does not.

25 MR. OVERSTREET: That's all I have.

1 VICE-CHAIR GARDNER: Any further questions of  
2 this witness? Okay. You may step down.

3 THE WITNESS: Thank you, sir.

4 VICE-CHAIR GARDNER: Sure.

5 MR. OVERSTREET: Our next witness, Mr. Vice-  
6 Chairman, is Kelly Pearce, and Mr. Gish -- my  
7 colleague, Mr. Gish, whose name I almost forgot,  
8 will present him.

9 \* \* \*

10 KELLY DOUGLAS PEARCE, called by Kentucky  
11 Power Company, having been first duly sworn,  
12 testified as follows:

13 VICE-CHAIR GARDNER: Please have a seat.  
14 State your full name.

15 THE WITNESS: Kelly Douglas Pearce.

16 VICE-CHAIR GARDNER: And with whom are you  
17 employed?

18 THE WITNESS: American Electric Power Service  
19 Corporation.

20 VICE-CHAIR GARDNER: And what is your  
21 position with them?

22 THE WITNESS: I am director of contracts and  
23 analysis.

24 VICE-CHAIR GARDNER: You may ask, Ken.

25 MR. GISH: Thank you, sir.

## 1 DIRECT EXAMINATION

2 By Mr. Gish:

3 Q. Dr. Pearce, did you have data responses and  
4 rebuttal testimony filed in this case?

5 A. I do.

6 Q. And do you have any changes or corrections to  
7 your data response -- data request responses or your  
8 rebuttal testimony?

9 A. I do not.

10 Q. If I were to ask you the same questions today  
11 that were asked in your rebuttal testimony or in  
12 your data requests, would you give the same answers?

13 A. I would.

14 MR. GISH: Mr. Vice-Chairman, Dr. Pearce is  
15 available for cross-examination.

16 VICE-CHAIR GARDNER: Mr. Kurtz.

17 MR. KURTZ: Thank you, Your Honor.

## 18 CROSS-EXAMINATION

19 By Mr. Kurtz:

20 Q. Mr. Pearce, you've obviously testified about  
21 no-load costs, correct?

22 A. I'm sorry?

23 Q. You've obviously testified about no-load  
24 costs, correct?

25 A. In this case I've submitted rebuttal

1 testimony that pertains to no-load costs.

2 Q. Do you agree that no-load costs are  
3 theoretical costs?

4 A. No-load costs, as I provided in one of the  
5 exhibits to my testimony, KDP-4, it's not  
6 theoretical in the sense that this is values that we  
7 submit into our daily PJM offers. It -- these are  
8 screen shots from in market.

9 I will accept the fact that they are  
10 theoretical in the standpoint that physically most  
11 generation plants cannot produce in a stable manner  
12 at zero megawatt output.

13 MR. KURTZ: Okay. Your Honor, if we could  
14 have marked as KIUC 10.

15 COMMISSIONER BREATHITT: Thank you.

16 VICE-CHAIR GARDNER: Thank you.

17 COMMISSIONER BREATHITT: This is good.

18 MR. OVERSTREET: Thanks, Mike.

19 COMMISSIONER BREATHITT: 2011.

20 Q. Do you recognize this as a PJM document?

21 A. It looks to be -- is this -- what part of --  
22 what manual or -- is this?

23 Q. It's No-Load Definition: Educational  
24 Document PJM. Looks like it was published in 2011,  
25 down at the bottom.

1 A. Okay. It references Manual 15.

2 Q. Okay.

3 A. But I'm not sure this is a manual.

4 Q. I'm sorry. What?

5 A. I said I -- okay. I see it references Manual  
6 15, I'm just not -- I'm not sure it's a manual.

7 Q. Now, this PJM education document I've  
8 highlighted in yellow, tell me -- I'll read it, tell  
9 me if you agree. "The book Fundamentals of Power  
10 System Economics defines no-load cost as the  
11 theoretical cost for a unit '... to remain connected  
12 to the system while supplying non electrical power,  
13 the no-load cost represents the cost of fuel  
14 required to keep the unit running.'"

15 Do you agree with that statement?

16 A. Yes.

17 Q. Okay. "Such a mode of operation is not  
18 possible for most thermal generating units."

19 Do you agree with that?

20 A. Yes. And as you noted, it says "most thermal  
21 generating units."

22 Q. Okay. So again, this is the amount of fuel  
23 to burn to make steam to turn the turbines to get it  
24 synced up to the grid but produce zero megawatt  
25 hours?

1 A. That's a reasonable interpretation.

2 Q. Okay. And a unit cannot operate at that  
3 level, it has to operate at something higher, called  
4 its minimum, correct?

5 A. Kentucky Power's units, that is true.  
6 They -- on a stable matter, they have to operate at  
7 their minimums.

8 Q. Okay.

9 A. The AEP system actually does have some units  
10 that have been configured that they can operate at  
11 that level.

12 Q. Could Kentucky Power sell any electric -- or  
13 make any electricity without incurring no-load  
14 costs?

15 A. It can -- it cannot produce -- by definition,  
16 that's the level at which it cannot produce any  
17 megawatt hours.

18 Q. But can you produce any electricity without  
19 incurring the no-load costs?

20 A. No.

21 Q. Okay. Is that why you have referred to it in  
22 discovery as a fixed cost?

23 A. Yeah, it can be kind of -- it's one  
24 consideration called a fixed-type fuel component.

25 Q. The -- you've testified about LG&E and KU's

1 process for allocating fuel costs between native  
2 load and off-system sales, is that correct, on page  
3 17 through 18 of your testimony?

4 A. Yes, I did.

5 Q. It's true, isn't it, that KU and LG&E are in  
6 a considerably different situation than Kentucky  
7 Power in a lot of ways?

8 A. You'd have to be more specific.

9 Q. Kentucky Power has a lot of excess generation  
10 for sales in the off-system market and KU does not.  
11 Would you agree with that?

12 A. I know during this, I'll call it overlap  
13 period, Kentucky Power does tend to be surplus. I  
14 have not looked at the relative capacity position of  
15 LG&E and KU to comment.

16 Q. Have you looked at the outcome of their fuel  
17 cost allocation through the fuel adjustment?

18 A. No.

19 Q. Well, then how could you testify that "not  
20 far afield from Kentucky Power's method?" Are you  
21 talking about the method, not the result?

22 A. Yes. And if it is the methodology, and as I  
23 felt like I was reinforced being in the courtroom  
24 today when I heard from them, they do an allocation  
25 of incremental costs from the top of their supply

1 curve just similar to what AEP does as I referenced  
2 in -- just in illustrative fashion in KDP-2, Exhibit  
3 KDP-2.

4 MR. KURTZ: Okay. Your Honor, one, I think  
5 final exhibit, if we could have it marked as KIUC  
6 11.

7 Q. Take a minute to familiarize yourself. What  
8 we have done is just simply taken the fuel  
9 adjustment filings for KU and LG&E for the first  
10 four months of 2014 and then compiled the results on  
11 the front.

12 Let me know after you've had a minute to take  
13 a look at the fuel schedules.

14 A. I'm sorry, sir. Are there certain pages you  
15 want me to reference out of this or --

16 Q. Well, let's just go --

17 A. -- read the whole thing?

18 Q. Let's just -- okay. No. No. That's fair.  
19 Let's -- okay. January 2014 for KU, do you see the  
20 front page of their filing with the Commission, the  
21 fuel rate, Fm, S -- Sm is \$32.04 a megawatt hour for  
22 native load?

23 A. Yes.

24 Q. Okay. Then on page 2 of the filing, KU shows  
25 that they made inter-system sales of \$3,366 during

1 January. Do you see that on page 2 of 6?

2 A. Yes.

3 Q. And then the megawatt hours associated with  
4 that are 171,000 on page 3 of 6. So for that month,  
5 just a simple 3,366 divided by the 171 equals \$19.68  
6 a megawatt hour for the fuel cost off-system?

7 A. Okay. I saw the 3,366, and then what was the  
8 other one you were pointing to?

9 Q. The volume is on page 3 of 6, inter-system  
10 sales including interchange-out.

11 A. Okay.

12 Q. 171,000 kilowatt hours or 171 megawatt hours.

13 A. Okay.

14 Q. Okay. So they -- so in that first month KU  
15 sold off-system for cheaper than on-system, but it  
16 was only \$3,000 worth of power.

17 A. Okay.

18 Q. And then if you look in February, March, and  
19 April, they had no off-system sales fuel costs. So  
20 they had zero. Do you see that?

21 A. I'm seeing no interchange-out dollars in  
22 February. What's -- I'm seeing zero, but then in  
23 the next page, for February, I'm also seeing some  
24 78,000.

25 Q. That is a funny little anomaly, but --

1 A. I'm kind of curious that -- why they got zero  
2 for dollars but 78,000. So it looks like they're --

3 Q. That's true. It's really --

4 A. They are allocating some power for free.  
5 That is a good deal.

6 Q. Small amount of generation. Maybe we can  
7 look into --

8 A. Sure.

9 Q. -- that anomaly, but in contrast to KU  
10 selling \$3,336 worth of power in the first four  
11 months, Kentucky Power made a profit, not the  
12 sale -- not the gross -- not the sales price, but a  
13 profit on off-system sales of \$49 million during the  
14 first four months; is that right?

15 A. You're saying Kentucky Power made a \$49  
16 million of off-system? That's the number as I  
17 understand it.

18 Q. Profit. Not gross revenues but profit from  
19 off-system sales.

20 A. Sorry. Yeah, margins.

21 Q. Margins. Now, LG&E, let's just -- if we  
22 just -- just take a look at January for LG&E. They  
23 had native load fuel adjustment of \$20.49 a megawatt  
24 hour. Do you see that?

25 A. What page are you on?

1 Q. The LG&E schedule, Form A, page 1 of 5. So  
2 their actual fuel costs for native load that  
3 month --

4 A. Sorry. For what -- which month?

5 Q. January.

6 A. January. Okay.

7 MR. GISH: Just so we're clear, Mr. Kurtz,  
8 this is the one that was filed and -- or received by  
9 the Commission on February 21st --

10 MR. KURTZ: Yes.

11 MR. GISH: -- 2014?

12 MR. KURTZ: Yes.

13 MR. GISH: Okay.

14 A. Yes, I see that.

15 Q. Okay. So that was the amount for native  
16 load, then they have inter-system sales or  
17 off-system sales of a dollar amount of 3,925,000.  
18 Do you see that?

19 A. Yes.

20 Q. Okay. And the volume was 87,467 megawatt  
21 hours?

22 A. Okay.

23 Q. Okay. So the fuel cost assigned to  
24 off-system sales for LG&E in that month was \$44.87.  
25 Do you see that? Do you want to check the math?

1 Three nine -- 3,925,186 divided by 87,467, \$44.87 a  
2 megawatt hour.

3 A. Yes.

4 Q. Okay. So they are -- and we can -- they --  
5 LG&E is allocating higher than fuel -- higher fuel  
6 costs to off-system sales than they allocate to  
7 native load, at least in January, correct?

8 A. It -- they are allocating some cost. Does  
9 that line C, the interchange-out, include any  
10 purchases that they made that they then subsequently  
11 allocated to off-system?

12 Q. Purchases are in the generation chart for the  
13 cost. It's on page 2 of 5. You see the purchases  
14 are up there, and then the purchase of kilowatt  
15 hours on page 3 of 5, so that's separately  
16 identified.

17 A. Yeah. The purchases coming in, but then  
18 the -- okay. So purchases --

19 Q. So let's -- assuming that LG&E and KU have a  
20 methodology that is in the ballpark or not far  
21 afield from Kentucky Power's, the result is  
22 certainly different, isn't it, in that KU doesn't  
23 even sell any power off-system, at least in the  
24 first four months, and that LG&E allocates a higher  
25 fuel cost to off-system sales than to native load?

1           A.       On a -- when you allocate your highest  
2 incremental cost to off-system sales, that can be a  
3 value that is either above or below your average  
4 cost. For example, on my exhibit KDP-4, page 2 of  
5 2, where we have just illustrative blocks of our  
6 supply curve, if you are only allocating a few  
7 megawatts out of a given unit as I show on that  
8 page, you know, if at -- a given unit is close to  
9 400, the cost of those last few megawatts are  
10 approximately \$30. That may or may not be below  
11 your average cost. Now, as you allocate more, the  
12 incremental cost can go down. But to me that's not  
13 that surprising that it still references the same  
14 methodology as AEP uses, understanding that the  
15 volume of off-system sales is less.

16           Q.       And in contrast, Kentucky Power routinely,  
17 during the first four months of 2014, allocates  
18 lower fuel cost to off-system sales than to native  
19 load, correct?

20           A.       Well, as I said, as we allocate incremental  
21 cost to off-system, because that -- working our way  
22 down the supply curve, electing the highest cost to  
23 off-system, then yes, it works out to be, if you  
24 include the no-load cost, a higher cost allocation  
25 on an average cost basis.

1           If you remove the no-load cost -- on page 19  
2 of my testimony I have excluded the no-load cost for  
3 the four months and showed that the incremental cost  
4 allocated to off-system sales in all four of those  
5 events -- those months, as analyzed by the KIUC  
6 witnesses, is actually higher than the average  
7 remaining cost, and our internal load customers get  
8 the benefit of the lower cost.

9           Q.       Well, but native load customers are paying  
10 no-load costs.

11          A.       They are paying no-load costs, and with that  
12 they get the benefit of all six of the units always  
13 available to serve their internal load, just as LG&E  
14 and KU, what I heard this morning, they say the same  
15 rationale.

16          Q.       You know, do you think the Commission should  
17 be -- in deciding which methodology to approve and  
18 which method is most reasonable, should be concerned  
19 with the end result of the process and does it --  
20 does it yield a reasonable result?

21          A.       I think, looking at the result is certainly a  
22 valid data point to examine, but if the methodology  
23 is sound -- Kentucky Power finds itself in somewhat  
24 of an overlap period in that it was, I believe,  
25 recognized by the parties, and I wasn't directly

1 involved with the settlement, that during this  
2 period, with the opportunity to acquire Mitchell and  
3 Big Sandy 2 not having yet retired, that there would  
4 be surplus power. It's still always made available  
5 first to our internal load customers, but that would  
6 drive a larger magnitude of off-system sales.

7 Q. If you were just serving your native load,  
8 you wouldn't run all six units, would you? If  
9 you're going to say maybe the polar vortex in  
10 January, let's just talk about April. Would you  
11 need all six units to serve native load in April of  
12 2014?

13 A. What I found interesting is, again, from our  
14 perspective, we allocate a lot -- a portion of every  
15 single unit that's online in a given hour to our  
16 internal load. So from our perspective, they are  
17 all serving internal load, and they are all  
18 available for it.

19 When I looked at the method offered up by  
20 KIUC, I also noted that every single month of the  
21 four months they allocated at least for some hours a  
22 portion of every single unit to internal load. So  
23 there was always the need sometime during every  
24 month of the audit period, at least the first four  
25 months of this year, for all six of the units.

1 Q. Did you answer my question? In April of 2016  
2 [sic], if you just were serving native load, you  
3 wouldn't need 2,250 megawatts of generation to serve  
4 a native load of, in April, what, 800 megawatts or  
5 something?

6 A. And what I'm saying back is that you can't  
7 really look at it from the context that based on the  
8 settlement, it was understood that until Big Sandy 2  
9 ultimately retires, the company is going to have  
10 about 2,250 megawatts. We offer the units into PJM.  
11 The PJM does the dispatch on the units. In fact, we  
12 cannot withhold the generation. So they're doing  
13 the dispatch.

14 And what I could say right now, it's  
15 Wednesday, I can't tell you Friday which units  
16 Kentucky Power customers are going to need or not  
17 need. Anything could happen to one of our units.  
18 PJM is going to control how much the units dispatch.  
19 We can forecast the load, but we don't -- we don't  
20 know for sure what it is.

21 I thought I -- perhaps it would help to  
22 explain that if, you know, units are offered in day  
23 ahead and they forecasted that the customers don't  
24 need at least one megawatt out of a unit, then they  
25 basically carve it off and don't make any of it

1 available for internal load. AEP does not do that.  
2 We look after the fact and allocate always the  
3 cheapest between any purchases and the units to  
4 internal load. That's what we do after the fact.

5 And particularly this coming winter, Big  
6 Sandy 2, as a glide path disposition unit, could  
7 have an event at any time. It's going to take just  
8 throwing a turbine blade or something that the  
9 unit's not there for our customers, and they are  
10 going to need every bit of the remaining units. So  
11 you just don't know from one day -- you know, you  
12 can look backwards. I didn't need my car insurance  
13 driving down here because I didn't get in a wreck,  
14 but looking forward for the future, the company has  
15 an opportunity now to basically have a hedge of all  
16 six units.

17 Q. Now, PJM requires that, what, 15 percent  
18 reserve margin for the companies, 15, 16 percent?

19 A. The installed reserve margin, it might be  
20 closer to 16 percent.

21 Q. Okay. And Kentucky Power has a 57 percent  
22 reserve margin for the 17-month overlap period?

23 A. I haven't been involved in the RRP case. I  
24 could say that over the six-month review period,  
25 their peak was about 1,650 megawatts in January,

1 during the polar vortex.

2 They have, when everything is online -- and  
3 of course, not all the units are online at all  
4 times. But if you have all six units on at maximum  
5 capacity, that's 2,250. That works out to be about  
6 36 or 37 percent more generation that they have  
7 load.

8 Q. Would you -- would you agree with -- I went  
9 through this with Mr. Wohnhas. The no-load costs  
10 for Big Sandy 2 in April 2014 were \$4.25 million.  
11 It's on KIUC Number 4, or you can just accept that  
12 number subject to check. Big --

13 A. I'm going to pull it up.

14 Q. Okay. KIUC 4, Big Sandy 2, no-load cost,  
15 April of '14.

16 A. Which Staff data request?

17 MR. GISH: It's KIUC Exhibit 4.

18 THE WITNESS: Oh.

19 MR. GISH: Are those up there still?

20 MR. WOHNHAS: No, I didn't number them.

21 MR. GISH: May I approach the witness?

22 MR. OVERSTREET: Here it is. I've got it.

23 THE WITNESS: Okay. Thank you.

24 A. Okay.

25 Q. You see the 4.25 million no-load cost?

1 A. For Big Sandy 2, yes, I do.

2 Q. Okay. If Big Sandy 2 in that month served  
3 one megawatt of native load, is it correct that that  
4 one megawatt would be charged \$4.25 million?

5 A. See, from our allocation methodology, the  
6 unit would have never served one megawatt. What it  
7 would have served is down to the minimum that the  
8 unit can operate, which is 300 megawatt hours for  
9 every hour that it's online. That's how much the  
10 unit Big Sandy 2 served our internal load customers.

11 Q. Well, I'm not saying -- I'm saying if one  
12 megawatt of Big Sandy 2 went to native load. It  
13 could have been operating at its minimum the whole  
14 time serving off-system sales, but if one megawatt  
15 went to native load, wouldn't native load be charged  
16 4.25 million?

17 A. And I'm saying when you say if one megawatt  
18 went to off-system sales and I'm --

19 Q. No, went to native load and the rest --

20 A. Oh, I'm sorry.

21 Q. -- went to --

22 A. If one megawatt went to native load, how --  
23 what I'm saying is, we don't allocate just one  
24 megawatt to native load, so what is -- under what's  
25 your -- what's your framework for saying one

1 megawatt would have gone to --

2 Q. Well --

3 A. -- to internal load?

4 Q. This unit, Big Sandy 2, in April actually  
5 served -- this is KIUC Number 2. Thirty-nine point  
6 five percent of the generation went to native load  
7 and 60 percent of the generation went to off-system  
8 sales.

9 A. Okay.

10 Q. Okay? Let's just use that. Even though  
11 40 percent -- only 40 percent went to native load,  
12 100 percent of the 4.25 million was paid by native  
13 load; is that correct?

14 A. That is -- that is correct.

15 Q. Okay. Now, my hypothetical is: What if the  
16 39.5 percent went down to one percent? The answer  
17 would still be the same, native load --

18 A. And my answer --

19 Q. -- would pay all the no-load costs?

20 A. It wouldn't have gone down to one percent  
21 under our methodology.

22 Q. What's the lowest it could have gone to?

23 A. The economic minimum on Big Sandy 2 is  
24 approximately 300 megawatts, so whenever it's  
25 online, at least 300 megawatts of it, in general, is

1 being allocated to internal load, along with the  
2 cost at 300 megawatts, which is not a theoretical  
3 number. The unit can actually operate at its  
4 minimum, and we're taking the minimum segment, as  
5 I've heard you use the term, and allocating that  
6 cost to internal load, and it's always there.

7 Everything above that 300, between that and  
8 its maximum, which is 800 megawatts, is available  
9 for internal load as well if it's the cheapest  
10 incremental cost on the system.

11 Q. Now, 31 percent of the hours of the  
12 four-month period in question the native load of  
13 Kentucky Power was less than the minimums of all  
14 these -- of all these power plants, correct?

15 A. No, I don't believe that's correct.

16 Q. Did you -- you did not rebut that of  
17 Mr. Hayet. That's what he testified to repeatedly.

18 A. I believe Mr. Hayet corrected his own number  
19 in his data request to say it was 30 percent, not 31  
20 percent.

21 Q. Okay. I'm sorry. Thirty point one percent,  
22 not 31 percent. So 30.1 percent of the hours of the  
23 four months the native load of Kentucky Power was  
24 less than the minimum operation of the units; is  
25 that correct?

1 A. I did not check his number. I -- without  
2 checking it, I will accept it's probably somewhere  
3 in the range of reasonableness.

4 Q. You would certainly agree that native load  
5 customers should not subsidize off-system sales,  
6 wouldn't you?

7 A. I agree with that and I do -- they do not,  
8 not under the company's methodology.

9 MR. KURTZ: Okay. Okay. Thank you, Your  
10 Honor.

11 VICE-CHAIR GARDNER: Thank you.

12 MR. COOK: No questions.

13 VICE-CHAIR GARDNER: Mr. Raff.

14 MR. RAFF: Yes.

15 CROSS-EXAMINATION

16 By Mr. Raff:

17 Q. Good afternoon, Mr. Pearce, or good evening  
18 or whatever.

19 A. Good afternoon.

20 Q. Let's start with, I guess you heard Mr.  
21 Wohnhas's testimony, correct?

22 A. I did.

23 Q. Okay. And I believe he stated that he was  
24 unaware of no-load costs until a meeting that  
25 occurred in November of 2013. You remember him

1 saying that?

2 A. Yes.

3 Q. Were you -- and I think he said that that  
4 meeting took place when some folks from the service  
5 company came down to Kentucky Power's office. Were  
6 you part of that contingent that came down at that  
7 time?

8 A. You know, I came down to their offices down  
9 here on or about November-December time frame, so  
10 it -- you know, I was in at least one discussion  
11 with Mr. Wohnhas on that subject.

12 Q. Had you been aware prior to that that  
13 Mr. Wohnhas was not aware of the allocation of  
14 no-load costs to native load customers?

15 A. I was not aware whether he was familiar with  
16 it and to what degree.

17 Q. Were you familiar with it?

18 A. With no-load costs? Yes. I've been familiar  
19 with it for several years.

20 Q. Okay. And how did you learn about it?

21 A. Probably the first time I read PJM Manual 15,  
22 a little -- a little bit of light reading, you know,  
23 or its predecessor at some point in time several  
24 years ago. It's not a topic that came up very --  
25 very often, but yes, I would say I've heard of it

1 and I was aware of the definition of it.

2 Q. And was the reason that the topic didn't come  
3 up very often because you didn't want people to know  
4 about what was being allocated to fuel costs?

5 A. No. No. Not at all. The no-load costs are,  
6 as I actually have on my exhibit, in illustrative  
7 fashion, exhibit KDP-2 is basically those costs at  
8 the -- at the Y axis, if you will.

9 The -- you know, we -- the minimum segment,  
10 which is basically the no-load cost plus the cost up  
11 to minimum, is probably more, I will say internally  
12 that we might have talked in terms of. I mean, if  
13 you got into a discussion with folks that are on the  
14 front lines of our -- doing our bid development at  
15 PJM and no-load costs there, you might talk about it  
16 more. But no, it's never been anything that we've  
17 hid.

18 You know, this supply curve is a quadratic  
19 equation with three coefficients. Basically the A  
20 coefficient is the -- that is the -- that is  
21 effectively the no-load cost. So you'll see,  
22 depending on what group you're talking about -- see,  
23 so settlements would call it the A coefficient, prod  
24 ops would call it the no-load coefficient. You can  
25 get a discussion of minimum load. It kind of

1 depends on who within AEP you're talking about or,  
2 you know, what's the topic of conversation.

3 But no, we have not ever hid our settlement  
4 processes at all. It's -- it was there in the  
5 PJM -- our pooling agreement, and we've certainly  
6 had ad infinitum discussions about the pool and how  
7 it works.

8 And it kind of came around from the same  
9 discussion that, you know, what -- the question that  
10 would be asked is, "How do you allocate off-system  
11 sales?" And we would go through, "Well, we allocate  
12 off-system sales incrementally, top down." That's  
13 the discussion that we've been in. And then once  
14 we've allocated those costs to off-system, the  
15 remaining costs stay with internal.

16 So you wouldn't explicitly -- just as I think  
17 I heard some other utilities say that, "Well, we  
18 don't separate out no-load costs." They're kind of  
19 in that number if you want to cull them out  
20 separate, but you may not have any cause to, you  
21 know, explicitly start talking in terms of no-load  
22 costs.

23 Q. Well, I mean, was it surprising to you to  
24 learn that Ranie Wohnhas had been with Kentucky  
25 Power for 31 years and that he was not aware that

1 the no-load costs were allocated to native load  
2 customers?

3 A. I will say this: I got the opportunity to  
4 work with Mr. Wohnhas several years ago. I don't  
5 believe he's been with Kentucky Power for that --

6 Q. I'm sorry.

7 A. -- for that long.

8 Q. He started -- he started in 1983, and I guess  
9 in 1998 he transferred to APCo, and then the service  
10 company as a senior rate consultant. So he worked  
11 at the service company for three years as a senior  
12 rate consultant and was not aware of the allocation  
13 of no-load costs.

14 A. I don't think that that is any failing on Mr.  
15 Wohnhas's part.

16 I -- as seen in my rebuttal testimony, I  
17 worked in rates for -- I've been with the company  
18 since '96. I went over to the commercial operations  
19 part of the organization in about 2002, and I would  
20 say that's when I started coming up to more speed on  
21 the front lines. You know, I knew the basics about  
22 our settlement systems, how they worked, and then,  
23 you know, was there, of course, when we joined PJM  
24 in October 2004. So that's how I came about my  
25 knowledge of it.

1 Q. Okay. I think you also heard the question  
2 that I asked Mr. Wohnhas about -- or his -- I guess  
3 it was his response to his counsel's redirect  
4 question regarding the benefits to Kentucky Power  
5 ratepayers from owning the Mitchell generating  
6 units, and he said that for the months of January  
7 through April of 2014 that they received the benefit  
8 of \$9.9 million in fuel savings that otherwise they  
9 would have incurred had they had to buy power on the  
10 market, and then I -- you did hear that, correct?

11 A. I did hear that.

12 Q. Okay. And then I asked him about the  
13 response to Commission Staff's data request, first  
14 request, Item 29, Attachment 2, page 1 of 1, which  
15 showed the no-load costs. And when I focused on the  
16 four months of January through April of Mitchell 1  
17 and 2, that the sum of the no-load costs for the two  
18 units for those four months was, I believe,  
19 \$13.1 million.

20 A. Yes, I heard that.

21 Q. Okay. So owning Mitchell allowed the  
22 ratepayers to save 9.9 million in purchased power  
23 costs while costing them 13.1 million in no-load  
24 costs. Is that a fair statement?

25 A. No. Mr. Raff, I'm sorry, that is not

1 correct. When I did the analysis of the  
2 \$9.9 million, just to be clear of the steps I took,  
3 actual as occurred, of course, included Mitchell.  
4 The estimate without Mitchell is I removed all of  
5 Mitchell fuel costs. I took it to zero in the NERs.  
6 So that included not only the no-load cost -- so I  
7 removed the \$13 million for the four months that  
8 you're talking plus start-up, plus incremental.  
9 Every dollar of fuel cost I took out of the  
10 calculation.

11 Then we analyzed for the four months, okay,  
12 but took out the megawatt hours of Mitchell as well  
13 and then analyzed, okay, hours with Big Sandy and  
14 Rockport as they ran and without the benefit of the  
15 pool anymore, how much would they have had to  
16 purchase on the market, just pure deficit, to meet  
17 their load, and included that cost.

18 So effectively the \$9.9 million is the net of  
19 all of the savings that the company had, including  
20 the net of basically taking off the \$13 million  
21 you're asking. And over those four months it works  
22 out to be, divided through by internal load, \$3.90  
23 per megawatt hour. Estimated value is, I believe,  
24 in that paragraph of the stipulation settlement, the  
25 16.75 million. It also makes reference to \$2.50 per

1 megawatt hour, which I understand was just somewhat  
2 of a crude calculation calculating the difference  
3 between Mitchell fuel costs and Big Sandy fuel  
4 costs.

5 But as I show here, we -- 390 of savings well  
6 exceeds the \$2.50 per megawatt hour that was  
7 included in the stipulation. And I will say --  
8 repeat again, that is removing the \$13 million that  
9 you made reference to.

10 Q. All right. And I also asked Mr. Wohnhas  
11 about the -- two of the KIUC exhibits, Exhibit 1 and  
12 Exhibit 8, and those were the original calculation  
13 of the cost of Mitchell overlap period, June 2014 --  
14 I'm sorry, January 2014 through June of 2015 and  
15 originally as filed in Case 2012-578, then the  
16 revised exhibit. And do you know whether the  
17 original exhibit includes any no-load costs for  
18 Mitchell?

19 A. To my understanding, having not worked on it,  
20 that it does -- it does not include any Mitchell  
21 fuel saving -- or, excuse me, Mitchell no-load cost.

22 Q. Okay. And why would it not include any  
23 Mitchell no-load costs?

24 A. Again, having not really worked on it, that  
25 is a number that I understand was -- upon request,

1 was prepared and included, which is this \$38 million  
2 on it.

3 I can say this, and I think it's interesting,  
4 the numbers that we just talked about, the  
5 \$13 million of no-load cost, so that's for four  
6 months, four months out of 12 on an annualized  
7 basis. Three times 13, that's 39 million. That's  
8 about the 38.

9 So if I at least put those -- okay. I said,  
10 okay, over four months they would have incurred  
11 \$13 million of no-load cost if I had put that number  
12 in there, but then as I showed in my 9.9 million, I  
13 also put in a large portion of purchased power cost  
14 savings, which I don't see either in any of these  
15 numbers, I mean, what I understand about this.

16 So perhaps the -- the no-load cost should  
17 have been in there, but, you know, what I also don't  
18 see is some of the offsetting benefit, at least for  
19 the first four months of this year, of dramatic  
20 avoided cost savings during the polar vortex.

21 Q. So basically you're saying there's numerous  
22 omissions from this schedule?

23 A. I'm saying that I've identified two. If  
24 you -- that could have been put in there. The one  
25 that you pointed out is no-load costs, and my only

1 point is, that's putting in the cost side as an  
2 additional adjustment, but I'm not convinced that  
3 there's not also a benefit side to customers that  
4 has not been omitted as well.

5 Q. Were you aware of this exhibit when it was  
6 being prepared and presented to the Commission in  
7 the Mitchell transfer case?

8 A. No. I was not on the -- involved with the  
9 Mitchell tran -- I attended part of the hearing, but  
10 at least part of this I don't recall that I was.

11 Q. Had you seen this before it was filed?

12 A. I don't recall.

13 Q. Did the people who filed it or prepared it,  
14 were they aware that they were no-load costs?

15 A. Well, as we've discussed, I think Mr. Wohnhas  
16 stated for himself when he became aware of no-load  
17 costs. I won't speak to the others.

18 Q. Do you know, did Mr. Wohnhas prepare this  
19 exhibit by himself?

20 A. No. I don't know who else might have helped  
21 him. You know, I do know that Mr. Allen is up, and  
22 he was also involved in the settlement, so he may  
23 have some additional questions. He was more  
24 directly involved than I am.

25 I will say this, you know, having developed

1 various estimates, when you're trying to get a  
2 precise -- you know, sometimes as far as every  
3 component that you, you know, put in or didn't put  
4 in, I don't -- I just don't know. I haven't -- I  
5 haven't done a thorough analysis to identify what  
6 else should or should not be in this or, you know,  
7 that would rise to the level to include it.

8 Q. Could you refer to Kentucky Power's response  
9 to the Commission Staff's second request for  
10 information, Item 4 c. and Attachment 3 to that  
11 response?

12 COMMISSIONER BREATHITT: Item 4?

13 MR. RAFF: 4 c., and there's an Attachment  
14 Number 3 to the response.

15 Q. Staff had requested Kentucky Power to provide  
16 the amount of no-load costs that would have been  
17 allocated to internal load customers if no-load  
18 costs had followed the allocation of all other fuel  
19 costs when calculating the FAC. And Attachment 3  
20 provides that amount by months.

21 My question is: Do the amounts in Attachment  
22 3 reflect only no-load costs being allocated or do  
23 they also reflect the allocation of the other  
24 incremental costs between the no-load costs and the  
25 unit minimums?

1 A. Give me just one second here, please. The  
2 way we read the data request, which was, "Refer to  
3 the response to Item 29.e. Provide the amount, by  
4 month, that would have been allocated to  
5 internal-load customers if 'no load costs' had  
6 followed allocation of all other fuel costs."

7 So at least the way that we interpreted the  
8 request was to show if you did this, which I think  
9 in our response -- let me -- let me double-check  
10 that.

11 Yes. So at -- based on the request, we  
12 wanted to be responsive, so we interpreted it to say  
13 what if we had allocated the no-load costs on this  
14 basis. As we said in our narrative response to the  
15 question, we said, (Reading) The allocation  
16 illustrated in KPCS 2-4 Attachment 3 is neither  
17 reasonable nor appropriate.

18 And I -- and I agree with that. But we  
19 provided the number based on our interpretation of  
20 the data request response.

21 Q. I'm sorry. So it just reflects the no-load  
22 costs?

23 A. Yes.

24 Q. Okay. Could you provide an update to that  
25 Attachment 3 that reflects both the allocation of

1 the no-load costs and the other incremental costs  
2 between no-load costs and unit minimums?

3 A. Okay. Just so I can understand your request,  
4 are you asking if we had maintained our current  
5 method for allocation of incremental cost? So  
6 basically you want to see what the number would be  
7 on off-system sales if we loaded it up with not only  
8 the most expensive incremental costs, but on top of  
9 that we had also allocated to follow those more  
10 expensive dollars additional no-load cost? We could  
11 certainly provide that if that's the request. We  
12 disagree with it --

13 Q. It is.

14 A. -- clearly, but we can provide that set of  
15 numbers --

16 Q. Yes.

17 A. -- I would believe.

18 Q. That's the request.

19 A. And just so I can add to that, you know, the  
20 reason that we feel it's inappropriate, as shown in  
21 my exhibit, in Exhibit KDP-2 -- again, this is just  
22 the illustrative supply curve. You know, ideally  
23 what we want to happen is this, and we hope it  
24 happens in every hour, that we dispatch our supply  
25 curve out to satisfy our internal load through the

1 cheapest sources, yes, including the no-load cost,  
2 and then we continue to dispatch out to make some  
3 additional off-system sales.

4           Clearly in a given hour the off-system sales  
5 margins can be very thin. So as I state in my  
6 rebuttal testimony, our concern continues to be that  
7 if you start allocating no-load cost onto off-system  
8 sales margins that, you know, with luck, at times,  
9 barely cover your incremental costs, then what  
10 you're turning is off-system sales margins from a --  
11 you know, what was -- what was an economically sound  
12 sale to make -- even if the margin was small, it  
13 gave you some contribution to your fixed costs under  
14 our traditional sharing mechanism. Customers would  
15 have benefited from that sharing -- to basically  
16 turning some positive off-system sales into negative  
17 sales when you allocate costs in that method.

18 Q.       Would you agree that Kentucky Power would not  
19 be able to make off-system sales if it did not incur  
20 the no-load costs?

21 A.       To have a unit on, it is incurring no-load  
22 cost. If we have dispatched our units first and  
23 foremost for our internal load customers, then on an  
24 incremental basis we are not incurring any  
25 additional cost to make that additional off-system

1 sale. So on an incremental basis there is no more  
2 no-load cost than we would have incurred otherwise.  
3 Yes, operationally the units are producing or are  
4 incurring no-load costs whenever they're online.

5 Q. Okay. So any hour that the unit is not being  
6 used to serve native load, it's still incurring  
7 no-load costs, native load is paying for that, and  
8 the company is able to make off-system sales?

9 A. No. Again, from our method, every unit  
10 that's online in every hour, we are allocating some  
11 of that unit to our internal load. We don't have  
12 the situation where we have units online but all of  
13 the output is going to an off-system sale, we are  
14 allocating up to the minimums to internal load, and  
15 then between the dispatchable limits, we will assign  
16 the most expensive incremental generation to the  
17 off-system sales. So they are paying the most  
18 expensive incremental costs for the --

19 Q. Well, aren't there --

20 A. -- off-system sale, and internal load gets  
21 the benefit of the cheaper incremental cost plus the  
22 cost of the unit minimums.

23 Q. Aren't there many, many hours where all of  
24 Kentucky Power's units are not needed to meet its  
25 load?

1           A.       Under a strict definition of saying I can  
2 look back in hindsight and I can see what was  
3 running and I had this many megawatts of generation  
4 and then I had this many megawatts of load, and I'm  
5 looking backwards, and say, "Oh, it didn't need this  
6 unit in this hour, so, you know, don't allocate any  
7 of it to internal load."

8           What I find interesting, and it's reflective  
9 of the KIUC method, is -- and this is part of my  
10 testimony, is, you know, it's basically -- talk  
11 about theoretical. It's making a presumption that  
12 you could turn the units on and off like light  
13 switches by the hour. It's saying in hours ending  
14 two, three, and four, like in the middle of the  
15 night, "Well, load's down, we didn't need that unit.  
16 You take it to off-system sales. Good luck.  
17 Hopefully you'll get all your costs," at times, if  
18 we're barely incurring our incremental costs, "but  
19 during the daytime, you know, we need it for two  
20 hours for internal load, so we'll take some of it."  
21 Okay. Then after that, "Well, we don't need it  
22 anymore, so you allocate it back to off-system."

23           And in any given hour we are not recovering  
24 necessarily the incremental cost plus some sort of  
25 allocation of our no-load cost. And that's an

1 important point. The way that PJM does their  
2 dispatch is we offer the units in, basically with a  
3 minimum run time of 24 hours. So they -- if they  
4 select your unit for a next-day award, they will  
5 basically make sure that over the 24 hours that  
6 you're made whole. But hour by hour, you know, what  
7 they're doing is -- that's why they have you -- as I  
8 showed in my testimony, you -- they make you provide  
9 your no-load cost and then your incremental block  
10 cost.

11 And so they'll say, well, in a given hour,  
12 even if you're barely recovering your incremental  
13 cost, but in the daytime, during the peak hours,  
14 you're recovering more than that, you're recovering  
15 your incremental cost plus a margin, enough to cover  
16 your no-load cost, so for the whole 24-hour period  
17 you're made whole.

18 Where that runs into trouble for us is if --  
19 you know, if that's -- if you said that's kind of a  
20 merchant gen look. We're a regulated utility --

21 Q. I'm sorry. That's what?

22 A. That's kind of -- if you said that's kind of  
23 a merchant gen look. You could say, okay, the unit  
24 is made whole for the whole 24 hours, but from our  
25 perspective as a regulated utility, our units are

1       there first for internal load. So from hours two to  
2       six in the morning, again, we're barely covering the  
3       incremental cost, and the LMP is not reimbursing us  
4       for any no-load cost. Okay?

5               A merchant gen would say, "That's okay,  
6       because during the peak hours prices shoot up, I  
7       make good money and I'm covered for the loss in the  
8       off-peak." From our perspective, during the daytime  
9       hours is when the Kentucky Power's load goes up as  
10      well, so we don't have the opportunity to kind of  
11      make back our losses during the off-peak in the  
12      middle of the night because we're serving our native  
13      load customers. And that's why we think it's  
14      appropriate to model what the dispatch does. Don't  
15      select that, "Well, from hour one, two, three, four,  
16      I'll take the unit this hour, then I won't the next  
17      hour, then I'll take the unit the next hour, then  
18      I'll take -- then I won't take the unit the next  
19      hour."

20             We recognize the dispatch, that the units  
21      come on with minimum start times, minimum run times.  
22      We allocate the minimums and then we look at the  
23      incremental dispatch between the minimum and  
24      maximum, because certainly for any unit -- when Big  
25      Sandy is somewhere between 300 and 800 megawatts, if

1 we dispatched it any above 300, we had to have a  
2 reason we're doing that. It was either to serve  
3 more internal load or it was to make off-system  
4 sales. So if Big Sandy 2 was the most expensive  
5 incremental unit for that fifth hundred megawatt,  
6 that's what we assigned off-system, because we'll  
7 say but for that off-system, it wouldn't have  
8 produced 500, it would have only produced  
9 499 megawatts.

10 But all of that no-load cost, all of it up to  
11 that minimum segment of 300 would have been borne by  
12 the customers either way. And we think that's long  
13 term the best for our customers, because again,  
14 under a normal, traditional sharing of off-system  
15 sales we're asking them to pick up the base load  
16 cost of the units when they're online, we maximize  
17 the off-system sales opportunities and off-system  
18 sales and we share it equitably with customers.

19 And this is what I mean by really the cost  
20 allocation should follow the dispatch. That is --  
21 that's been drilled into me for -- since I've been  
22 involved with this by people that worked for the  
23 company long before I started

24 Q. But the cost allocation doesn't have to  
25 follow the dispatch, does it?

1           A.       See, that's what -- I believe it very much so  
2       has to. I mean, I'm a believer in cross causation  
3       as well, and I want my customers to -- basically  
4       they incur the cost but that -- that is due to them.  
5       If I am incurring costs that's making an incremental  
6       off-system sale, then that's the cost I allocate,  
7       and then I share the profit of that back with my  
8       retail customers to provide them the most benefit of  
9       that.

10                If I start having to load up in my day-ahead  
11       offers into PJM to say, well, now I know, even in  
12       the middle of the night, you know, I have to -- I  
13       have to basically require that at 3:00 o'clock in  
14       the morning I need enough margin from my sales to  
15       not only cover incremental costs but also some  
16       allocation of the no-load cost rather than say up to  
17       the minimum the internal load will save it, then  
18       that would basically cause me to offer in my units  
19       at a higher cost, and maybe they don't get picked up  
20       as much. And I think that's harmful for customers.  
21       I want to -- I want to optimize my units in the PJM  
22       market. I think that's the best deal for customers  
23       long term.

24           Q.       In the same data response that we were  
25       earlier referring to, the response to the Commission

1 Staff's first data request, Item 29, but at page 4  
2 of 4 of that response.

3 A. Item 29. I'm sorry, which -- and then which?

4 Q. Page 4 of 4.

5 A. Yes, sir.

6 Q. Paragraph e, the statement, "Economic  
7 dispatch does not result in an allocation of  
8 "no-load costs."

9 Do you agree with that?

10 A. Yes.

11 MR. RAFF: Okay. Thank you. I have no  
12 further questions.

13 EXAMINATION

14 By Vice-Chair Gardner:

15 Q. Dr. Pearce, I have a couple questions,  
16 please. First, did you submit any testimony or  
17 answer any data requests in the Mitchell case?

18 A. I did not submit any testimony. I was not a  
19 witness in that case. Regarding data requests, I  
20 don't recall if I reviewed any or not.

21 Q. Did --

22 VICE-CHAIR GARDNER: If you -- if you could  
23 show him KIUC Number 8, please.

24 MR. GISH: Mr. Vice-Chair, I believe he has  
25 it on the stand.

1 VICE-CHAIR GARDNER: Okay.

2 THE WITNESS: Oh, do I?

3 Q. So I'm asking you about page 3, which is the  
4 rate change comparison, page 3, the 5.33 percent in  
5 there.

6 A. Oh, I'm sorry. Yes, this page. Yes, I have  
7 that. Yes.

8 Q. Do you recall seeing that at the time before  
9 it was submitted?

10 A. Honestly, I don't recall whether I did or did  
11 not.

12 Q. Would you have noticed that it didn't appear  
13 to include no-load costs in that?

14 A. You know, I don't know if it would, because  
15 honestly I don't recall at the time, like if -- you  
16 know, if the Mitchell fuel savings calculation had  
17 been done on something sort of more complex, you  
18 know, that it may or may not have included that. So  
19 I might have, you know, inferred that that  
20 calculation was -- somehow had that factored into  
21 it, I just don't know.

22 It was only -- I think it was sometime later  
23 that I, you know, understood that the calculation  
24 was based on just kind of a historical difference  
25 between the fuel cost of Mitchell versus the fuel

1 cost of Big Sandy 2, which is valid. I mean, as I  
2 think the company and Mr. Wohnhas showed, it's going  
3 to be 89 percent. Customers are again going to get  
4 the benefit, at least long term, of lower costs in  
5 their -- in their retail load or some traditional  
6 sharing under off-system sales.

7 Q. So you believe that this is incomplete and  
8 that the Commission should not have relied on it  
9 because it doesn't have all the information in it?

10 A. I cannot -- I cannot say that.

11 Q. Is this complete?

12 A. Is this complete? I don't know in the  
13 context in which it was provided. I -- and I  
14 apologize, Vice-Chairman. I'm really not trying to  
15 avoid the question, I just really don't know.  
16 Again, since I didn't know, like, the Mitchell fuel  
17 savings, how that was calculated --

18 Q. I'm asking -- yeah, I'm asking you in  
19 retrospect.

20 A. In retrospect?

21 Q. Is this incomplete?

22 A. I don't know. And the reason I say that is  
23 because if there had been --

24 Q. Should there have at least been a mention of  
25 no-load costs in here, at least in a footnote? Like

1 it does not include it or no-load costs are  
2 additional or --

3 A. You know, if I had been more involved and we  
4 had done some more complex modeling, you know, maybe  
5 there would have been additional line items, but  
6 with that said, I think -- and I understand where  
7 folks were coming from AEP in the sense that our  
8 cost allocation method was nothing that we were  
9 intending on changing. It was the same as it always  
10 was, so I kind of understand from the standpoint  
11 that they put in a basic, it's two fifty dollars'  
12 difference in cost between the plants.

13 And as I had stated earlier to Mr. Raff, if I  
14 did accept that, the L -- maybe we should have had a  
15 line item in here for no-load costs. I haven't gone  
16 through it to identify, but perhaps there's  
17 additional off -- savings that would have offset  
18 that.

19 Q. And how could -- how could you say that, you  
20 know, that should have been put in here when you  
21 heard Mr. Wohnhas saying he didn't even know about  
22 the existence of it at that time?

23 A. I'm sorry?

24 Q. I mean, you said that you know that -- you  
25 know that you're doing nothing different with

1 no-load costs than what you had always done.

2 A. I understand.

3 Q. So how can you tell that no-load costs are  
4 included in here?

5 A. How can I --

6 Q. How can you tell?

7 A. Oh, and to the extent that the no-load impact  
8 on this exhibit is not in here, I agree with that.

9 Q. Okay. Let -- I do have one other question.  
10 Your testimony is basically that you-all have this  
11 excess generation during this period and in -- and  
12 that you're going to -- are you going to run it all  
13 the time? It's going to be available all the time  
14 unless it's taken off-line for servicing?

15 A. Well, because, you know, being a member of  
16 PJM, we're required -- anything that's been  
17 designated as a PJM resource we have to offer in on  
18 a daily basis.

19 Q. Okay.

20 A. We're -- so it -- the units will run per PJM  
21 instruction, if they're available to run.

22 Q. Okay. So -- okay. So they -- they're  
23 required to offer those or at least have them  
24 available, therefore, as we're sitting here right  
25 now, these units are incurring no-load costs?

1 A. To the extent that they're on.

2 Q. If they're on?

3 A. Yeah. I think Big Sandy -- both units may be  
4 out today.

5 Q. Okay.

6 A. And again, this is -- kind of reinforces --

7 Q. But in general this is --

8 A. Yeah.

9 Q. -- this is going forward because they have to  
10 offer them unless they're out for maintenance or  
11 whatever?

12 A. Yeah.

13 Q. And they have gotta offer them into PJM and  
14 these no-load costs are being incurred as we're  
15 sitting here, theoretically?

16 A. Yes.

17 Q. Okay. Now -- so when this settlement was  
18 constructed that had these four -- that had these  
19 extra units in there, that automatically, from --  
20 someone who understood no-load costs would know that  
21 that meant that from day one there's going to be --  
22 as long as they're in service, that there's going to  
23 be no-load costs that are going to be incurred by  
24 the ratepayers whether they're offered into --  
25 whether they're taken, whether there's off-system

1 sales or not, is that correct? I mean, the sales  
2 are sort of irrelevant. The costs are going to be  
3 there all the time.

4 A. Yes. The costs are -- well, with -- the  
5 no-load costs are incurred to the internal load as  
6 far as the off-system sale. The level of -- as you  
7 have the off-system sales, certainly you're  
8 allocating costs away from internal load to  
9 off-system, and they are incurring the remainder.

10 Q. Okay. So what is the benefit to the  
11 ratepayers for the off-system sales component of  
12 this? How do ratepayers -- I mean, I heard -- so  
13 the units are going to have to be offered into PJM  
14 if they're -- if they're not out of line -- out  
15 of -- or in service, and they are going to incur  
16 those costs, and I understood you talking about the  
17 benefits of that, which the benefits to the  
18 ratepayer is that it means that they can -- I mean,  
19 if something happens, if we've got a polar vortex,  
20 they're available, they're ready, and that --  
21 there's some value to the ratepayers for that.

22 Is there a value to the ratepayers for  
23 off-system sales occurring beyond the 15 million  
24 that are in base rates? Is there any benefit at all  
25 to the ratepayers for that piece of it? I mean, a

1 hundred percent --

2 A. Well, okay. With -- and as you -- as you've  
3 already acknowledged, the fact that we've provided a  
4 hedge and the fact that they have all six units  
5 available. So you've already mentioned that.

6 Beyond that, as far as off-system sales,  
7 during this interim period that we're in where we  
8 recognize that we're getting the benefit of a good  
9 unit in Mitchell, and in exchange for only  
10 providing, I think, \$44 million, there was the  
11 recognized opportunity that the company would  
12 receive the off-system sales.

13 So to answer your question, I don't see  
14 additional benefit to customers during this period  
15 from the off-system sales. It is certainly  
16 allocating costs, you know, that they don't pick up  
17 from the units operating, but that's only fair.  
18 The -- when we get past this period --

19 Q. But while we're in the hundred percent time  
20 period, which is at least until May of -- not at  
21 least, it's until May of 2015, there's no -- the  
22 ratepayers get no benefit beyond the 15 million  
23 because a hundred percent of the off-system revenues  
24 are going to Kentucky Power?

25 A. They get no benefit other than the hedge

1 benefits that --

2 Q. Which I've already --

3 A. -- that you had mentioned. And then again --

4 Q. But that doesn't matter whether there's  
5 off-system sales or not. They're getting the hedge  
6 benefit because they've gotta have the units ready,  
7 right?

8 A. That's right.

9 Q. Okay.

10 A. That's right.

11 Q. So there's no additional benefit to them if  
12 there are sales that are made or not?

13 A. There is no benefit to them, not -- not from  
14 the incremental sales. I'll agree with that. Now,  
15 having the units all on, I mean the units that are  
16 available and on, provides, I'll say, the immediate  
17 benefit, because again, we go back after the fact  
18 and see which units had the most expensive  
19 incremental costs, assign that to internal and keep  
20 the cheapest with the -- or, excuse me, assign that  
21 to off-system and keep the remainder with our  
22 internal load customers.

23 So I do see the benefit of, you know, yeah,  
24 something could happen, but, I mean, even in real  
25 time is my point there, by them incurring the

1 no-load cost and the unit is up and running, because  
2 that relative to a scenario where we just shut a  
3 unit down. I also have in my testimony the start  
4 times of the units, which is very significant. So  
5 if we have an event, a unit --

6 Q. But --

7 A. -- goes out or a forecast --

8 Q. But I'm just trying to understand the --

9 A. I understand.

10 Q. -- the off-system sales piece of it alone. I  
11 mean, I understand because you say that the -- and I  
12 hear your point about the no-load -- because of the  
13 no-load costs --

14 A. Right.

15 Q. -- the rate -- the ratepayers get a benefit,  
16 and I understand that.

17 A. Okay.

18 Q. Are they getting any benefit from the  
19 off-system sales?

20 A. They're not getting any benefit of the margin  
21 from the off-system --

22 Q. Okay.

23 A. -- sale per the settlement.

24 Q. Okay. And I just wanted to make sure because  
25 you say several times about the -- in your testimony

1 about the ratepayers getting benefits, and I just  
2 wanted to make sure --

3 A. Sure. I understand.

4 Q. -- that I was understanding that there's not  
5 some other benefit that I'm missing.

6 A. I understand. That's fair.

7 Q. Okay.

8 A. And I -- you know, one -- I kind of came into  
9 this and noticed this -- the stipulation and  
10 settlement, I couldn't help but note paragraph 15  
11 that talks about, you know, Mitchell on top of  
12 everything else being dispatched in an economic  
13 dispatch order, which seems to validate, the way I  
14 read it in paragraph 15, that it would basically  
15 support that we're going to put Mitchell into the  
16 stack just like all of the other units. With the  
17 pool gone, Kentucky doesn't have that to lean on, so  
18 they are going to get the benefit of Mitchell, and  
19 they get the benefit of Big Sandy too, hopefully,  
20 knock on wood, until next May. We'll see what  
21 happens.

22 VICE-CHAIR GARDNER: Thank you.

23 THE WITNESS: Thank you.

24 MR. GISH: Just one --

25 VICE-CHAIR GARDNER: Yeah.

1 MR. GISH: One or two brief redirect  
2 questions.

3 REDIRECT EXAMINATION

4 By Mr. Gish:

5 Q. Dr. Pearce, you testified about this  
6 9.9 million in net savings to the customers, and  
7 that means that there are 23 million, approximately,  
8 dollars in avoided market costs during the four  
9 months?

10 A. Yeah. I mean, it was -- you know, our  
11 analysis was a little more complex in terms of we  
12 included additional purchases that they would need,  
13 and then we also curtailed off-system sales in terms  
14 of, okay, in other words, you didn't have surplus  
15 out of the other units. So all of it together  
16 netted to a -- but definitely factoring in the  
17 exclusion of the no-load costs came out to be  
18 \$9.9 million.

19 Q. And that's a calculation of this hedge  
20 benefit that the Vice-Chairman was discussing?

21 A. Well, I mean, that's the actual benefit in  
22 cost savings. The hedge value, I would say it's  
23 like an option on a stock or anything else, which  
24 normally you have to pay for, so in a sense  
25 they've -- you know, the customers have benefited by

1       \$9.9 million and got the hedge or the option for  
2       free over this period, because they always had it  
3       available.

4       Q.       And just one more question about this hedge.  
5       If you -- if the company has all six units available  
6       to run, will bid all six units available --

7       A.       Uh-huh.

8       Q.       -- to run into PJM, if those all six units  
9       are picked up by PJM, that means that the costs of  
10      running those units is less than the market cost; is  
11      that correct?

12      A.       That's the important point. When PJM picks  
13      them up, the costs of the -- running those units is  
14      less than the market cost over the entire run time.

15              But that goes to my point. They're not going  
16      to necessarily make you whole hour by hour. And  
17      that's part of the fallacy I see with the KIUC  
18      proposed method is that basically it's a very cherry  
19      picking of, you know, taking a unit this hour, then  
20      not this hour, this hour. Well, recognizing if I  
21      brought the unit on, I assume PJM is doing the  
22      dispatch, it's there first and foremost for internal  
23      load. To the extent I have some dispatch above the  
24      minimums, that's where I'm assigning the most  
25      expensive cost to my off-system.

1 Q. And earlier today Mr. Kurtz asked you some  
2 questions about the difference in the results of the  
3 method that LG&E and KU use to calculate their -- or  
4 sorry. I'm sorry. To allocate their fuel cost to  
5 off-system sales. That methodology is for large --  
6 for the -- their coal-based units is the -- or  
7 coal-fired units is the same methodology that  
8 Kentucky Power uses; is that correct?

9 A. I see -- I see very few differences.

10 Q. Yeah. Do you think it's appropriate for the  
11 Commission or for -- or any Commission to say one  
12 methodology is correct if it results in -- if the  
13 application of it is a little lower and say that the  
14 other application -- say one company's application  
15 of the same methodology is okay and one -- and  
16 another company's application of the same  
17 methodology is not okay?

18 A. No. The numbers should not drive the -- I  
19 mean, if something is correct to do -- I'm an  
20 engineer, of course I want the methodology to be as  
21 correct as possible.

22 Q. And so it's -- so it's better and more  
23 appropriate for it to be a uniform methodology?

24 A. I believe, you know, it's -- I mean, it makes  
25 sense to me. I believe there's even something --

1 and I'm not an expert in KIUC discussions on that  
2 matter, but yeah, I think it's -- it makes sense to  
3 me.

4 Q. And you mean LG&E and KU, not KIUC; is that  
5 correct?

6 A. I'm sorry. LG&E, KU, AEP, Kentucky Power.

7 MR. GISH: That's all I have, Vice-Chair.

8 VICE-CHAIR GARDNER: Mr. Kurtz.

9 MR. KURTZ: I do have a little bit.

10 RE-CROSS-EXAMINATION

11 By Mr. Kurtz:

12 Q. You referred to the KIUC fuel cost allocation  
13 method; is that correct?

14 A. Yes.

15 Q. Do you -- you recognize that what the  
16 Attorney General and KIUC are recommending for fuel  
17 adjustment purposes is the exact same fuel  
18 allocation method used by East Kentucky Power  
19 Cooperative and Duke Energy Kentucky?

20 A. I will dispute that as far as -- in terms of  
21 it being the exact same as East Kentucky Power  
22 Cooperative. I have not analyzed the East Kentucky  
23 Power Cooperative method other than the testimony  
24 that your witnesses have provided in exhibits. But  
25 what I read in the testimony of Mr. Hayet is that he

1 is doing a bottom-up, assigning costs to internal  
2 load first, and then whatever's left over is  
3 off-system sales.

4 What I saw in your same Exhibit 4, I believe,  
5 which was the response by East Kentucky Power  
6 Cooperative, they mentioned that they were doing a  
7 top-down allocation method, is the way I read it.

8 So that's at least one difference. So I  
9 haven't analyzed the East Kentucky method in depth,  
10 but it seems -- certainly seems that there was a  
11 contradiction between East Kentucky's response to  
12 that data request and what -- and what KIUC is  
13 proposing.

14 Q. Well, is this the same difference, like a  
15 31 percent situation of native load not meeting the  
16 minimum, the answer is 30.1 percent? I mean, you  
17 understand from the testimony of Mr. Kollen and  
18 Mr. Hayet that they tried to replicate, and did, the  
19 East Kentucky and Duke methodology, and you did not  
20 rebut that in your written testimony, did you?

21 A. I did not state it because, as I'm stating --  
22 what you just asked me is do I understand they're  
23 the same, and my answer back to you, I didn't  
24 confirm it in my rebuttal or deny it because I  
25 haven't looked at it enough. I'm just saying from

1 the testimony you filed, there's an inconsistency  
2 there, and I can't speak to that coupled with other  
3 things, whether that would drive a very small  
4 difference or a large difference. I don't know.

5 I can give you an example. If East Kentucky  
6 is doing top-down, I -- you know, one way or the  
7 other you have to tie to the books. You incurred a  
8 couple -- a certain amount of expense, fuel expense.  
9 You're measuring the weight of the fuel on conveyor  
10 belts to the plants. This is what's hitting your  
11 general ledger. So one way or the other you're  
12 going to allocate costs off-system and then what's  
13 left is internal or you're going to allocate costs  
14 internal or then what's left over is off-system.

15 If East Kentucky is working its way down,  
16 which is what I read from their data request  
17 response, then something like start-up costs,  
18 okay -- if they're only allocating costs to  
19 off-system hours that the units actually had  
20 megawatts of output to off-system, then they're not  
21 allocating any start-up costs to off-system sales.  
22 Okay?

23 What I read -- what I -- and I know the KIUC  
24 somewhat better, because I looked at least at your  
25 work papers. The KIUC, going top-up -- bottom-up,

1 they would only allocate cost to internal load for  
2 hours that the units actually had megawatt hours of  
3 in -- of output.

4 So any coal unit, there's going to be hours  
5 that you're burning coal, your start-up coal --  
6 well, your fuel oil, whatever you're doing for your  
7 fuel, to bring the unit up to -- up to speed, up to  
8 synchronous operation. And, you know, from that  
9 method, it looks like they were basically forcing  
10 all the start-up costs of the units to off-system  
11 sales as well in their \$12.6 million number.

12 So I think there's more -- that's the way I  
13 understood it, but it looked like -- so it looks  
14 like there's potentially some differences, certainly  
15 going from top -- top-down or bottom-up, there can  
16 be some differences.

17 Q. Now, are you speculating about the start-up  
18 cost issue? Because you certainly didn't testify to  
19 it.

20 A. I'm spec -- I'm -- what I'm stating is, I did  
21 not see it in Mr. -- since you asked me if I  
22 understood that they were the same, and what I'm --  
23 so I'm answering the question is, they didn't look  
24 the same to me. I gave an example from what I saw  
25 in the work papers of a difference, and -- you know,

1 as far as start-up costs. What I could see is in  
2 KIUC's method allocating it all to off-system sales.  
3 And I'll just state, I am -- I am skeptical but I  
4 don't know if East Kentucky forces all of its  
5 start-up costs to its off-system sales. I doubt  
6 that.

7 Q. Do you have your Exhibit 5 in front of you?  
8 This is your \$9.9 million savings exhibit. Do you  
9 have that?

10 A. Yes.

11 Q. Okay. Do you also have KIUC Exhibit Number  
12 2, or can you be provided that?

13 MR. GISH: Which one is KIUC 2?

14 A. I'm sorry, I'm not sure.

15 MR. KURTZ: It's the Staff 1-29 exhibit,  
16 page -- Attachment 1.

17 A. I got it.

18 Q. Okay. All right. Do you see in the right --  
19 KIUC Number 2, the bottom right-hand corner, the  
20 fuel cost allocated to native load. Let's just --  
21 let's just use the month of -- the month of March.  
22 Do you see that, where it starts with allocation of  
23 native load fuel cost 5.516.03 million from Big  
24 Sandy 1, et cetera?

25 A. Okay.

1 Q. Okay. When I add up those columns, I get  
2 17.755 million, versus your Exhibit 5 is 18 million.  
3 Why is there the quarter-million dollar discrepancy?  
4 Or please check my math.

5 A. Okay. I -- to save time, I'll -- it's -- I  
6 won't check your math, but one difference is actuals  
7 incurred is the actual NER, so it includes  
8 purchases.

9 I don't see in this KIUC 2, 14, 220, or  
10 whatever, if I've got the right reference. This is  
11 just strictly the units. It doesn't include the  
12 cost of purchases.

13 Q. Okay. And your exhibit includes the cost of  
14 purchases?

15 A. Yes.

16 Q. Okay. Now, as I understood your exhibit,  
17 what you said, for March of 2014, if you replace the  
18 Mitchell megawatt hours with market purchases, it  
19 would have cost Kentucky Power ratepayers  
20 \$6.3 million more; is that correct?

21 A. Yes.

22 Q. Okay. So the Mitchell megawatt hours for  
23 March of 2014 were 277,070 megawatt hours, and we  
24 see the megawatt hours for Mitchell on the left-hand  
25 side of the column. Do you see that?

1 A. Mitchell for March. You're saying the  
2 hundred seven five five? Is that the number you're  
3 looking at? And the 176315?

4 Q. Yes.

5 A. Okay.

6 Q. They add up to 277,000 megawatt hours.

7 A. Okay.

8 Q. If I divide that by the \$6.3 million presumed  
9 savings, that would mean that you would be  
10 purchasing for \$22.70 a megawatt hour more than what  
11 Mitchell was generating at. Did I do that math  
12 correctly?

13 A. Okay.

14 Q. Is that correct?

15 A. Yes.

16 Q. Okay.

17 A. Something like that.

18 Q. And Mitchell generation costs for the month  
19 was \$29.49 a megawatt hour; is that correct?

20 A. Something in that range.

21 Q. So your exhibit shows that if Kentucky Power  
22 didn't have Mitchell, they would have bought market  
23 purchases for \$52.23 a megawatt hour, because they  
24 would have bought -- instead of buying Mitchell for  
25 29.49, they would have paid \$22.70 a megawatt hour

1 more and bought market power for \$52.23 a megawatt  
2 hour?

3 A. The calculation is a little bit more complex  
4 than that, but if you want to talk in general terms.

5 Q. Is that right, general terms? Because you're  
6 replacing the Mitchell generation with market  
7 purchases, you say you save 6.3 million. That comes  
8 out to a market purchase of \$52.23 a megawatt hour.

9 A. We didn't replace all of the Mitchell  
10 generation with market purchases. What we did is  
11 remove all of the Mitchell generation and all of the  
12 cost, and then we only made additional purchases for  
13 hours that the company was going to be short.

14 Q. Oh.

15 A. Which could be in the most peak hours.

16 Q. Oh. Well, because in that same month  
17 Kentucky Power was selling off-system from Big Sandy  
18 1, Big Sandy 2, Rockport 2, Rockport 1, 245,986  
19 megawatt hours.

20 Why would Kentucky Power be purchasing \$52  
21 power when they had access to \$30 power from their  
22 own generation?

23 A. That's part of the calculation. What we did  
24 was, they bought purchases when they -- first step,  
25 we took it all out. Second step, we basically said

1 for hours that all of the generation running,  
2 including both Big Sandy 1 and 2 and Rockport 1 and  
3 2 were available, we netted that against internal  
4 load. And we said if there's nothing else for them  
5 to take, then we bought purchases. But we reduced  
6 those off-system sales, those other units.

7 So yeah, that dollar amount includes both  
8 those effects. That's why it makes it more -- a  
9 little complex. It's a combination of replacing the  
10 Mitchell costs with purchases and with instead being  
11 supplied by Big Sandy and Rockport. And then we  
12 reduced also the volume of off-system sales,  
13 obviously --

14 Q. Well, what are you --

15 A. -- so they made more purchases --

16 Q. What did you --

17 A. -- and they made less off-system sales.

18 Q. Well, there's no work paper. This was  
19 presented a week ago. There was no work papers, no  
20 backup. What purchase price did you assume Kentucky  
21 Power would have to pay in the market if it didn't  
22 have Mitchell?

23 A. That's a fair question. We did -- we looked  
24 hourly, and for every hour we did -- it's an hourly  
25 calculation for that -- for that portion of this.

1 And this is an estimate, but for every hour, we  
2 just -- it's kind of back to our earlier discussion,  
3 is that if in this -- because purchases you can buy  
4 on and off, it's units that you can't turn on and  
5 off by the hour.

6 But purchases, we just said if their load was  
7 a thousand, and when they had 800 megawatts of  
8 Mitchell, their generation was 1,600, so they were  
9 surplus, they wouldn't need to purchase. If I take  
10 out 800 megawatts of Mitchell, then they go to  
11 having to buy 200 megawatts of a purchase, and, of  
12 course, they make no off-system sales then in that  
13 hour, so --

14 Q. Why did you --

15 A. -- that was the calculation, and so the  
16 purchase price, to answer your question, is driven  
17 by the hours they made the purchase, and not  
18 surprising, the hours they're going to be short are  
19 generally going to be the peak, more expensive  
20 hours.

21 Q. What was the average purchase price in your  
22 calculation for the month of March, or for the month  
23 of April, for that matter?

24 A. I don't recall it off the top of my head. I  
25 want to say it was -- I mean, it was obviously -- I

1 think you quoted 50. I think that's rational,  
2 because again, they only made purchases for the  
3 hours that, absent Mitchell 2, and with getting  
4 basically whatever other resources they could, they  
5 still didn't have enough to cover, so they bought at  
6 that hourly LMP.

7 Q. Well, then you did assume that none of the  
8 extra power they would -- Kentucky Power would need  
9 would come from Big Sandy 1, Big Sandy 2, Rockport  
10 1, or Rockport 2?

11 A. No. I'm sorry. Let me -- let me give you a  
12 better example. If the load was 1,000 and they  
13 made -- they produced 1,800 megawatts hour -- 1,800,  
14 of which 600 was Mitchell and 200 was from Big  
15 Sandy, okay, when I -- well, that's not a good  
16 example, because then they still would have made  
17 something.

18 But the point is, is if they made -- if the  
19 load was 1,000, 1,600 was the gen, I take out -- and  
20 that 1,600 of gen was some combination of Mitchell  
21 and Big Sandy, when I remove all of Mitchell, I  
22 don't still assume that Big Sandy was able to sell.  
23 I apply Big Sandy to the deficit.

24 So I reduced the volume of their off-system  
25 sales. And then if -- basically if I took

1 off-system sales to zero, so they got -- they got  
2 every bit for internal load, which we always do, of  
3 Big Sandy and Rockport and they still needed a  
4 purchase just to become even, that's when we applied  
5 purchases.

6 Q. Yeah. Well, then the purchase price would  
7 have had to have been a lot higher than \$52 a  
8 megawatt hour?

9 A. And it wouldn't surprise me if it was.  
10 Again, you're talking about the hours that they  
11 needed it was generally going to be when the load  
12 was pretty healthy, and it was -- we're talking  
13 about March.

14 Q. Right. March and April.

15 A. Well, we were talking about March.

16 Q. Well, true.

17 A. Okay.

18 Q. Now, why -- this is -- this is your estimate.

19 A. Yeah.

20 Q. That's what it -- that's what this exhibit is  
21 called, right?

22 A. Uh-huh.

23 MR. KURTZ: Okay. Thank you, Your Honor. No  
24 more questions.

25 MR. RAFF: Can we have one second?

## 1 RE-CROSS-EXAMINATION

2 By Mr. Raff:

3 Q. Maybe just one question, or two. You work  
4 for the AEP Service Corp., correct?

5 A. Yes, sir.

6 Q. Okay. And they provide services to all of  
7 the operating companies, or at least the east  
8 operating companies?

9 A. All the -- all the operating companies.

10 Q. Okay. At least for the east, what is known  
11 as the east, they have companies operate in West  
12 Virginia, Virginia, Michigan, Ohio, Indiana,  
13 correct?

14 A. Yes.

15 Q. Excluding Tennessee. To your knowledge, are  
16 the other regulatory commissions in those states  
17 aware of the way in which the no-load costs are  
18 allocated a hundred percent to native load  
19 customers?

20 A. I don't know. I can't comment.

21 Q. So you've never had occasion to testify in  
22 those other jurisdictions on this issue?23 A. Not testified. I could say a few years  
24 back -- again, as far as not hiding anything, the  
25 Indiana Commission had an interest in our pool, so

1 again, my quarterly class pool school, I went over  
2 into Indianapolis and gave a presentation to the  
3 Indiana Commission, the Chairman. It was an  
4 informal conference, so the consumer advocate,  
5 anybody who wanted to -- I've been perfectly happy  
6 to put anybody to sleep that wants to hear for a few  
7 hours about AEP settlement.

8 Q. So it's your recollection that you explicitly  
9 discussed the fact that the no-load costs are put a  
10 hundred percent onto native load?

11 A. I don't know that we got into specific  
12 no-load costs. What I do know is I have a --  
13 actually, it was kind of déjà vu, because, because  
14 of this case, when I saw the LG&E/KU presentation,  
15 and they had like a box stack and they're talking  
16 about how they allocate things, I have actually, and  
17 it's purely coincidence, a similar drawing in my own  
18 where I talk about how we allocate the most  
19 expensive resources to off-system, and then, you  
20 know, how the -- how, after we have allocated the  
21 most expensive resources to off-system, what remains  
22 is for internal load across the companies, and  
23 there's primary payments and everything. I don't  
24 recall, I mean, again, specifically getting into  
25 no-load costs.

1 Q. Well, when you say you allocate the most  
2 expensive resource to off-system, that's after  
3 native load pays for the no-load cost, right?

4 A. No. Well, again, we've always done top-down.  
5 We allocate -- whether it was before the pool or  
6 now, we would allocate the most expensive  
7 incremental resources -- I think I have in my  
8 testimony an example of saying if, you know, a given  
9 unit is 400 megawatts at 11,000 of fuel cost, our  
10 supply curve would say if I sold so much as one  
11 megawatt hour, then it would have only dispatched  
12 399 at \$27 less than that. So that's that \$27  
13 incremental cost we would allocate to off-system.  
14 And I do believe that I've been clear about saying  
15 we look across all the units. And in the PJM pool,  
16 you're literally looking across dozens of units,  
17 identifying the most expensive dollar per megawatt  
18 hour cost across dozens of units, finding the most  
19 expensive one that was dispatched, and that's the  
20 one you're assigning to your off-system sales. And,  
21 of course, Kentucky Power got a similar share of  
22 that --

23 Q. Isn't that --

24 A. -- both the revenue and the cost.

25 Q. But isn't that after the no-load costs are

1 allocated to native load customers?

2 A. It -- the native load customers have always  
3 got the no-load costs, I agree with you. I -- the  
4 only thing part I'm struggling is you say "after,"  
5 and again, even then we were doing top-down, so I  
6 would say the first step is allocate to off-system  
7 and then subsequently is when the no-load and the  
8 remaining cost stays with internal load.

9 But yes, they pay no-load costs, it's just we  
10 don't do it bottom-up, we do it -- we still did it  
11 top-down, the same we're doing it for Kentucky  
12 today.

13 Q. Does it result in the same number?

14 A. If you designed it the right way, it -- if  
15 you designed it the right way, you could make it get  
16 there.

17 MR. RAFF: Okay. Thank you. No other  
18 questions.

19 THE WITNESS: Thank you.

20 \* \* \*

21 EXAMINATION

22 By Commissioner Breathitt:

23 Q. Dr. Pearce, you were talking with KIUC  
24 counsel, and I heard you choose an interesting word.  
25 You said, I think -- it had to do with Duke and East

1 Kentucky, I believe, and you said they forced costs  
2 onto off-system sales. Do you recall -- is that  
3 what you said, you force -- that they forced their  
4 costs -- why -- what's the import of -- importance  
5 of using the word "forced"?

6 A. The -- I think, if I recall the con -- the  
7 context I was using that word is, is in this  
8 scenario that I discussed about particularly during  
9 the summer months, again, if you -- if it's going to  
10 be a hot day, if the air is dry, it can really cool  
11 off at night, you can have low load conditions. So  
12 I looked over the -- just the six months of this  
13 period, it didn't include a summer, the average LMP  
14 for like the 20 percentile, so the lowest 20, was  
15 only 27.50. You know, it got down into the teens.  
16 The real-time price is actually -- there was one  
17 hour it went negative. You had to pay power to put  
18 it on the grid. So those are hours nobody is trying  
19 to make off-system sales. What you're doing is by  
20 saying I'm keeping the unit on for the benefit of my  
21 customers to serve them during the next day's peak.

22 So my -- my issue with the -- with the KIUC  
23 type method is to say -- you know, to say that in  
24 certain hours when it -- you know, I'm just going to  
25 take a very narrow view of here's my internal load,

1 here's my generation, the specific hours of 2:00 to  
2 4:00 in the morning I don't need it from that  
3 calculation, so you go make your money in the  
4 off-system sale market, when you're not really  
5 making money in the off-system sales market. What  
6 you're doing is you're trying to keep the unit on  
7 for the next day's peek for your internal customer.

8 So I -- to me that's -- that -- that's -- you  
9 know, and so if you're doing that with just your  
10 incremental costs, to kind of add insult to injury  
11 and say, well, now we want you to load up a lot of  
12 your no-load costs on that as well, then it's -- it  
13 misaligns the interest of the company and the  
14 customers. I feel like today those interests are  
15 aligned.

16 Q. Wouldn't it be their choice? I mean, it  
17 wouldn't -- they wouldn't be forcing themselves to  
18 do that, it would be their choice.

19 A. And that's true as far as the company's  
20 choice. If -- that's what I mean by misalignment  
21 is, is if the company knows that, hey, anytime I'm  
22 going to make an off-system sale, I need to get all  
23 my money back, so if they're going to start  
24 basically having to allocate some no-load costs to  
25 their incremental cost offers in PJM, then there's

1 chances that PJM won't pick the unit up, won't  
2 dispatch the unit.

3 So yeah, it's not there in the off-peak, you  
4 know, when that's fine, 'cause maybe, you know, the  
5 market's about the same price and customers are not  
6 harmed, but that also means then the unit is not  
7 there in the next day's on-peak because of the  
8 turnaround time, the minimum shutdown time of the  
9 unit and the minimum start-up time of the unit and  
10 all the extra cost that goes in with cycling a base  
11 load unit.

12 COMMISSIONER BREATHITT: Okay. Thank you.

13 VICE-CHAIR GARDNER: Mr. Gish.

14 MR. GISH: I have nothing further.

15 VICE-CHAIR GARDNER: Anybody else?

16 Okay. You're free to go. Thank you, sir.

17 THE WITNESS: Thank you.

18 COMMISSIONER BREATHITT: Do you-all want to  
19 take a break or do you want to keep going?

20 VICE-CHAIR GARDNER: We can keep going,  
21 right?

22 Okay. We'll take a seven-minute break, come  
23 back at 7:30.

24 (Recess from 7:22 p.m. to 7:34 p.m.)

25 VICE-CHAIRMAN GARDNER: Back on the record.

1           And, Mr. Allen, if you would stand and raise  
2 your right hand, please.

3                           \*                           \*                           \*

4           WILLIAM A. ALLEN, called by Kentucky Power  
5 Company having been first duly sworn, testified as  
6 follows:

7           VICE-CHAIRMAN GARDNER: Please have a seat.  
8 State your full name.

9           THE WITNESS: My name is William A. Allen.

10          VICE-CHAIRMAN GARDNER: With whom are you  
11 employed?

12          THE WITNESS: I'm employed by American  
13 Electric Power Service Corporation as managing  
14 director of regulatory case management.

15          VICE-CHAIRMAN GARDNER: You may ask.

16          MR. OVERSTREET: Mr. Vice-Chairman, Mr. Gish  
17 is going to present.

18          VICE-CHAIRMAN GARDNER: Mr. Gish.

19          MR. GISH: Thank you, Vice-Chairman.

20                           DIRECT EXAMINATION

21 By Mr. Gish:

22 Q.       Mr. Allen, did you cause rebuttal testimony  
23 to be filed in this case?

24 A.       Yes, I did.

25 Q.       And do you have any corrections or changes to

1 make to that rebuttal testimony?

2 A. No, I do not.

3 Q. If I were to ask you the same questions today  
4 that are included in your rebuttal testimony, would  
5 you give the same answers?

6 A. Yes, I would.

7 MR. GISH: Mr. Vice Chair, Mr. Allen is  
8 available for cross-examination.

9 VICE-CHAIRMAN GARDNER: Thank you.

10 Mr. Kurtz?

11 MR. KURTZ: No questions, Your Honor.

12 VICE-CHAIRMAN GARDNER: Mr. Raff?

13 MR. RAFF: Just a second.

14 I believe all the questions that we have have  
15 already been asked and answered, Your Honor.

16 Well, I'm sorry, Your Honor, I do.

17 CROSS-EXAMINATION

18 By Mr. Raff:

19 Q. Mr. Allen, you -- do you work with the  
20 AEP Service Corp.?

21 A. Yes, I do.

22 Q. Okay. And for how long have you known about  
23 no-load costs being allocated 100 percent to the  
24 native load customers?

25 A. I've been a fuel cost witness for a number of

1 years, and the method of allocation that the  
2 companies used has been consistent using an  
3 incremental cost method. So I've probably been a  
4 fuel witness for eight to ten years, so I've been  
5 aware that we use the incremental cost approach  
6 where just the incremental cost of the last megawatt  
7 hour is assigned to off-system those costs  
8 consistent with FERC methodology.

9 Q. Okay. And do you testify in other  
10 jurisdictions on fuel proceedings?

11 A. I have in the past, yes.

12 Q. Okay. And to your knowledge, has the issue  
13 of no-load costs being allocated 100 percent to  
14 native load customers come up before in any other  
15 jurisdiction?

16 A. It hasn't come up as an explicit discussion,  
17 but if you look to Exhibit KDP-2 that Dr. Pearce  
18 filed, it's very apparent from that figure -- and  
19 these are the types of figures that we share with  
20 commissions, and most Commission Staff that I'm  
21 aware of would be familiar with the methodology that  
22 we use for off-system sales assignment where you  
23 take that incremental cost, and when you look at  
24 that curve, when you see that the curve doesn't end  
25 at a zero point, it's very apparent to someone

1 that's an engineer like myself, or other engineers  
2 we would deal with in the Staff, that that would  
3 have a result of assigning a certain amount of costs  
4 to retail customers whether you defined them as  
5 no-load costs or minimum-load costs. These type of  
6 graphs make it pretty apparent.

7 Q. You recognize that it was not apparent to  
8 Kentucky Power's managing director of regulatory and  
9 finance?

10 A. It may not have been. This is something  
11 that's done as part of our settlement process. It's  
12 typically been done at the service corporation  
13 level. We do these types of calculations.

14 We're the ones that typically did the  
15 testimony on fuel clauses in the past because of the  
16 nature of the pool, and the fact that costs were  
17 assigned across many of the jurisdictions, and that,  
18 you know, for instance, the assignment of some of  
19 the output of the Cook unit goes through the pool to  
20 Kentucky.

21 Kentucky Power management wouldn't typically  
22 be aware of what the outage schedule was for the  
23 Cook Nuclear Plant or the Gavin Plant or the Amos  
24 Plant. That information would be something that the  
25 service corp would be aware of. And so we always

1 have historically done those calculations because  
2 they were system calculations.

3 Q. Has the issue of allocating 100 percent of  
4 no-load costs to native load customers, to your  
5 knowledge, been raised in any other regulatory  
6 jurisdiction where AEP operates?

7 A. When I -- and the answer would be yes, I  
8 think in other regulatory proceedings parties would  
9 have been aware of that. If you look to  
10 Exhibit WAA-2, which is an audit that was performed  
11 by the FERC staff, in looking at how the Company  
12 allocated costs to its wholesale customers, which in  
13 this case would be native load customers as compared  
14 to off-system sales customers, if you go to what's  
15 labeled as page 8 of 8 of my exhibit, which is  
16 titled page 4 of the last section of the audit,  
17 there's actually a statement.

18 It's the fourth bullet down in that page that  
19 states, "Audit staff reviewed PSO's intersystem  
20 sales, also known as opportunity sales, to ensure  
21 that wholesale requirement customers were not  
22 subsidizing these sales. Audit staff recalculated  
23 the FAC to ensure that wholesale requirement  
24 customers were not damaged by PSO opportunity  
25 sales."

1           The only way that calculation can be done is  
2           to look at a calculation in the manner of the  
3           exhibit that I described from Dr. Pearce, which is a  
4           graphical representation, KDB-2, of the equation,  
5           the quadratic equation that Dr. Pearce described  
6           that would exist in our settlement system. So the  
7           statement by the FERC staff indicates that they  
8           would have had to look at that to make that  
9           conclusion.

10           And the fact that there's, as Dr. Pearce  
11           indicated, an A coefficient in that equation says  
12           that there are minimum-load or no-load costs that  
13           are assigned to retail customers at the end of the  
14           day. They're not assigned, but they're a residual  
15           that goes to retail customers.

16           Q.       I don't see the words "no-load costs"  
17           anywhere in that bullet point, do you?

18           A.       It does not have the word "no-load costs" in  
19           there, but the fact of the matter is that's how the  
20           calculation has to be done. If you're going to  
21           audit how the Company assigns or identifies the fuel  
22           costs assignable to off-system sales, you have to do  
23           that calculation.

24           One other piece I want to clarify because  
25           we -- I think people misstated things earlier when

1 they said we provided fuel to off-system sales  
2 customers at a lower cost than what we provided to  
3 our retail customers. What you have to recognize is  
4 that we aren't giving the energy to our off-system  
5 sales customers at cost. They're paying a market  
6 price.

7 All we're doing is reconstructing that market  
8 price to separate it into a profit piece and a fuel  
9 piece. Those off-system sales customers are not  
10 getting fuel or getting energy at a cost lower than  
11 the fuel cost provided to our retail customers.

12 Q. This was an audit conducted by the Federal  
13 Energy Regulatory Commission?

14 A. Yes, it was.

15 Q. All right. Has the allocation of no-load  
16 costs to native load customers been an issue, to  
17 your knowledge, in any state regulatory Commission  
18 proceeding?

19 A. I don't know if any state commissions have  
20 explicitly looked at it, but it's something that  
21 would be -- I would expect to be part of their  
22 review is to understand how we did our calculations  
23 of off-system sales.

24 And because we're one of the companies that  
25 shares off-system sales, fairly unique in the

1 industry to have the volume of off-system sales we  
2 have and the sharing mechanism we have across our  
3 jurisdictions, it would be very reasonable to expect  
4 that they've reviewed those methodologies.

5 And the types of graphs that I showed from  
6 Dr. Pearce, those are the types of graphs you would  
7 talk about as you're describing why we have the  
8 levels of off-system sales we as a company do.  
9 Whether they understood it, I don't know, but  
10 there's plenty of information in there to allow them  
11 to understand that there's a residual that remains  
12 for retail customers after the assignment to  
13 wholesale customers.

14 The other important piece to remember when  
15 you look at this, those margins from off-system  
16 sales that we have at the end of the day, those --  
17 and this is what FERC has described in a lot of  
18 their guidance, as long as you cover more than your  
19 variable cost, your marginal cost, incremental  
20 marginal cost, all of that residual provides a  
21 benefit to native load customers, and you should  
22 make those sales.

23 In this case, we agreed, as part of a  
24 settlement, that that benefit that normally flows to  
25 retail customers for just an interim period stays

1 with the Company. That doesn't mean that when we  
2 get to the past period prior to this settlement,  
3 December of last year, or July of next year, that  
4 these off-system sales calculated in the same manner  
5 the Company is doing will provide incremental  
6 benefits to our customers.

7 That's the guidance FERC has provided. As  
8 long as you cover a dollar more than that  
9 incremental cost, you need to be incented to make  
10 that sale so you can provide benefits to your native  
11 load customers, and that's what we do with our  
12 calculations.

13 Q. So it's your testimony that you are not aware  
14 of the issue of allocating no-load costs 100 percent  
15 to native load being an issue in any state  
16 regulatory proceeding.

17 A. I don't recall it being a contested issue.  
18 They may have been aware of it. I do not know.

19 Q. Okay.

20 MR. RAFF: Thank you, Mr. Allen. I have no  
21 further questions.

22 EXAMINATION

23 By Vice-Chairman Gardner:

24 Q. Mr. Allen, in the Mitchell case did you offer  
25 any testimony?

1 A. I did not testify, but I participated in the  
2 settlement discussions.

3 Q. Okay. Did the issue of no-load costs come  
4 up?

5 A. The issue of no-load costs did not come up  
6 explicitly in that case, no.

7 Q. How did it come up implicitly?

8 A. The one issue that we didn't discuss as a  
9 specific element is how NEC costs would change from  
10 December 31st to January 1st of 2014, NEC costs  
11 being fuel cost.

12 Fuel costs change for a number of reasons.  
13 They change due to timing of new contracts coming  
14 on, change in dispatch of the units. So we didn't  
15 make an explicit analysis of what the change in the  
16 NEC costs would be. NEC costs are what would  
17 include the no-load costs.

18 So to the extent there was discovery in the  
19 case asking for the NEC costs prior to the inclusion  
20 of Mitchell and after the inclusion of Mitchell,  
21 that analysis would have included all of the no-load  
22 costs.

23 And I know you had some questions about the  
24 tax -- I think it's 5-10. The impact of no-load  
25 cost --

1 Q. Did you see that?

2 A. I did.

3 Q. Okay.

4 A. The impact of no-load costs would be included  
5 as an element of the Mitchell fuel savings. It  
6 would be in there as part of the overall savings of  
7 the Company you would see.

8 If you look at these three columns, these are  
9 but-for calculations, okay. So they didn't reflect  
10 what I would call temporal changes in fuel costs.  
11 So the DFGD filing that we talked about, that would  
12 have been sometime well into the future. I think  
13 that was planned to be in 2015, '16.

14 We don't include in that column a change in  
15 fuel costs due to new fuel contracts. All that's  
16 reflected in there is a change in Big Sandy fuel  
17 savings, and I can assume from this is it's moving  
18 from a high sulfur to a -- or from a low sulfur coal  
19 to a less expensive, high sulfur coal. And all we  
20 reflected in the second column is just the net  
21 change between the cost of the two units.

22 But the 9 million that Dr. -- or 10 million  
23 that Dr. Pearce talked about, those are the type of  
24 net costs that would be included in a number like  
25 that 16.5. That line item would reflect all the

1 cost savings.

2 So if I were looking at that column, what I  
3 would determine today is that we've already produced  
4 \$10 million of the fuel cost savings that are  
5 identified in column -- in row 3. So we've got  
6 \$6.75 million of fuel savings to come up with to get  
7 to that 5.33 million -- or 5.33 percent at the  
8 bottom line.

9 Q. As I understood Mr. Wohnhas's testimony, and  
10 I could be wrong, it's my recollection that he  
11 testified that it was in a conversation with you  
12 that he became aware of the issue of no-load costs?

13 A. I think he indicated it was with Dr. Pearce,  
14 but I've had no-load costs with Dr. Pearce in the  
15 past, discussions of those as we looked at the  
16 curves and how they might change.

17 Q. Have you had any -- did you have any  
18 discussions with Mr. Wohnhas about no-load costs?

19 A. I have as part of this proceeding, yes.

20 Q. Prior to this proceeding?

21 A. No. And just to clarify, as someone that  
22 deals with fuel costs in the past as a witness, we  
23 don't explicitly look at what are the no-load costs  
24 as we're looking at a fuel cost for a customer.

25 What we look at is the net energy cost, what is the

1 cost to the customer after all things are  
2 considered?

3 The no-load costs plus any benefits due to  
4 dispatch or having extra units available so we're  
5 never buying in the market, it's that all-in cost,  
6 and that all-in cost is the \$10 million savings that  
7 Dr. Pearce talked about that would be comparable to  
8 the 16.75 million on this page.

9 What we didn't try to do in this analysis is  
10 to say what's happening January 1st due to changes  
11 in market prices, due to cold weather, market prices  
12 going up due to changes in gas forecasts and things  
13 like that. This was a but-for analysis. But for  
14 the transfer of the Mitchell Unit to Kentucky Power,  
15 what would have been the impact.

16 Q. Okay.

17 VICE-CHAIRMAN GARDNER: I don't have any  
18 other questions. Any redirect?

19 MR. GISH: Absolutely not, sir.

20 RE CROSS-EXAMINATION

21 By Mr. Raff:

22 Q. Mr. Allen, I'm a little slow, and I know it's  
23 late, but I'm kind of struggling to understand your  
24 response to the Vice-Chairman regarding the no-load  
25 costs and the rate change comparison exhibit?

1 A. Okay.

2 Q. Were you saying that the no-load costs were  
3 reflected in line 3 of the original exhibit,  
4 Mitchell fuel savings?

5 A. What I'm saying is those are the types of  
6 costs that would be included in there, and what we  
7 can see is that in actuality we've seen \$10 million  
8 of net savings as a result of Mitchell in the first  
9 four months of the year when we were estimating  
10 16.8 million in savings.

11 Q. But somebody knew when they prepared this  
12 exhibit that there were no-load costs. And I think  
13 the question is, are those costs reflected in this  
14 exhibit?

15 A. What we've demonstrated through our analysis  
16 is that the savings due to some of the other  
17 elements we've talked about in the settlement, which  
18 were the savings from having the other unit  
19 available, having Mitchell available in case  
20 Big Sandy was down, when market prices were high and  
21 the like, that those savings outweighed any of the  
22 costs of the no-load for the first four months of  
23 the year to the tune of 9 million -- almost  
24 \$10 million.

25 Q. But that --

1 A. Oh, but this schedule we're missing --

2 Q. My question, are the costs shown on this  
3 exhibit, the no-load costs? I mean, it was revised  
4 in this --

5 A. There is not a cost --

6 Q. -- in this case to show a breakdown for the  
7 Mitchell fuel savings of the same 16,750,000, but  
8 then it also shows Mitchell 50 percent no-load  
9 costs, \$38,000,252 -- I'm sorry, \$38,252,000?

10 A. It does -- it states that, I don't disagree  
11 with you. That's what that schedule states, but  
12 what I'm telling you is there's no cost called  
13 "no-load cost" that hits the books of the Company or  
14 that is directly related to a bill we send to a  
15 customer.

16 What's related to the bill we send to the  
17 customer is the net energy cost, which is the fuel  
18 cost that we use in Kentucky, it's a net energy cost  
19 methodology. That includes all of the market  
20 purchases, the dispatch of the units, and those  
21 types of savings would be in that 16.750. That's  
22 where the savings from having Mitchell, we give an  
23 estimate of the fuel savings, 16.750 --

24 VICE-CHAIRMAN GARDNER: Excuse me, were you  
25 the one who calculated that number and gave it to

1 Mr. Wohnhas?

2 THE WITNESS: I did not.

3 VICE-CHAIRMAN GARDNER: Who did?

4 THE WITNESS: He may have calculated it  
5 himself. I don't know.

6 A. But when we talk about fuel savings, we look  
7 at total fuel savings, and we've already seen  
8 \$10 million of fuel savings compared to the 16.750  
9 we were expecting for the entirety of the year.

10 So what I'm trying to get across is that the  
11 numbers we saw in the settlement, the customers are  
12 on a rate for the first four months. They've  
13 achieved more savings than they should have expected  
14 under the settlement.

15 So this settlement so far, because of the  
16 conditions we've experienced, have benefited the  
17 customers more than they would have expected under  
18 the settlement, and they've benefited the Company by  
19 more than we expected under the settlement. It's a  
20 win/win.

21 That's a situation I love to be in at the end  
22 of a settlement. That's why I'm a little frustrated  
23 that KIUC has a problem with this. They're a winner  
24 in the settlement, and what they're asking for is  
25 more than they bargained for.

1 Q. Well, have the -- have the savings been  
2 reflected in bills of Kentucky Power customers?

3 A. What we didn't include on the schedule is how  
4 customers' bills would have changed between December  
5 of 2013 and January of 2014. What we attempted to  
6 do here is say, how do customers' bills for the --  
7 and in this case calendar year 2014, compare to what  
8 their bills would have been in calendar year 2014  
9 without Mitchell.

10 We assumed all other things being equal. We  
11 did not try to estimate what I call temporal  
12 changes, changes that occur over time. Those would  
13 have occurred with or without the Mitchell transfer.  
14 So we were trying to isolate the impact of the  
15 Mitchell transfer, and I think we did an effective  
16 job of it here.

17 Q. There was an exhibit filed by Dr. Pearce,  
18 Number 5, which is titled Kentucky Power Internal  
19 Load Full Costs Estimated January-April 2014 Impact  
20 Without Mitchell. And I don't know if you can  
21 provide it or Dr. Pearce.

22 It shows for each month of 2014, in the  
23 second column, an estimate of costs without  
24 Mitchell, and it shows a total for the four months,  
25 \$90.2 million. Could you or Dr. Pearce provide the

1 work papers that show how those amounts were  
2 calculated for each of those four months.

3 A. He's indicating yes.

4 Q. Thank you.

5 MR. RAFF: Nothing further.

6 VICE-CHAIRMAN GARDNER: You're free to step  
7 down, please.

8 I'd like to call Mr. Wohnhas again, please.

9 Is he your last witness?

10 MR. GISH: He is, Your Honor.

11 VICE-CHAIRMAN GARDNER: Okay. I just want to  
12 understand one point.

13 \* \* \* \*

14 RANIE K. WOHNHAS, recalled by the  
15 Vice-Chairman, having been previously sworn,  
16 testified as follows:

17 EXAMINATION

18 By Vice-Chairman Gardner:

19 Q. You're still under oath.

20 A. Yes.

21 Q. Let me ask you this. Did you testify earlier  
22 that it was Dr. Pearce who communicated to you about  
23 the existence of the no-load costs in November of  
24 '13?

25 A. Yes. That's the first -- yes, he was the

1 person, yes.

2 Q. Okay. In what context? How did it come up?

3 A. Came down to describe --

4 Q. So he physically came to -- to Frankfort?

5 A. Yes. We had one phone conversation, and then  
6 he did come down and make an in-person -- we asked  
7 him to come down and talk about it, and, you know,  
8 the first one may be by phone, and then later in  
9 December by in person, but he did come down.

10 Again, describing some changes that we  
11 brought up or that we -- that were in his testimony,  
12 but talk about some of the changes we had in the  
13 calculation of no-load costs, the idea of minimum  
14 emergency and minimum nonemergency, those changes,  
15 and in that context was the first time of discussing  
16 no-load cost.

17 Q. So why did he do that? Why did he come down?  
18 Because was it -- was it -- like it wasn't an issue?  
19 You didn't understand that this was going to be a --

20 A. Again, as part of asking if we were going to  
21 make a few changes come the first of the year based  
22 on this, and he was coming down to explain to us and  
23 to get our sign-off that we were all right with  
24 those changes.

25 Q. And what changes specifically were those?

1 A. Again, it was the change in the -- from the  
2 economic minimum to the emergency minimum, and he  
3 discusses that in his testimony. That was the main  
4 purpose of him coming down and explaining why we  
5 wanted to make those changes.

6 Part of it was because of the pool going  
7 away, and so there was some minor changes that were  
8 going to be done, and so he brought those to discuss  
9 that.

10 Q. So I don't understand what the changes were.  
11 Was it -- change from what to what?

12 A. How -- how no-load costs -- there was going  
13 to be a change in the way no costs -- no-load costs  
14 were calculated and totaled between the existing  
15 method of -- for the pool in a way from looking at  
16 an economic minimum to the idea of where it now goes  
17 down to an emergency minimum.

18 And Mr. Pearce could explain in detail if  
19 that needs to be done. That's just in general what  
20 was coming down, and it made slight changes to the  
21 calculation of no-load cost. Not in the allocation,  
22 but in the calculation.

23 Q. So -- but prior to that, you didn't know that  
24 there were no-load costs included, right?

25 A. I was not aware prior to that the idea of --

1 in the total fuel, as Mr. Allen testified, you know,  
2 the fuel costs that we would look at in our monthly  
3 filings, I wasn't aware of the concept of a piece of  
4 that was called no-load costs, no.

5 Q. Was -- was Dr. Pearce, did he participate at  
6 all in the -- from the company's perspective with  
7 respect to the settlement?

8 A. Not that I'm aware of, sir.

9 Q. Did you understand in November the  
10 significance of what the change was that they were  
11 asking?

12 A. Well, as we discussed that, we did not see it  
13 as a significant change. We -- looking at just, you  
14 know, the additional change in the way no-load cost  
15 was calculated, but we did not discuss at all or  
16 have any even this -- Dr. Pearce did not present to  
17 that, you know, we would have this huge increase in  
18 no-load costs effective January 1st. It was not  
19 anticipated.

20 Q. Was there a change in how the no-load costs  
21 were actually going to be calculated?

22 A. Yes, there was a slight change to the --

23 Q. What was that change?

24 A. Again, I think the best person to explain in  
25 detail so you understand it fully would be

1 Dr. Pearce.

2 VICE-CHAIRMAN GARDNER: That's all I have.

3 Thank you.

4 MR. OVERSTREET: May I have one redirect?

5 COMMISSIONER BREATHITT: May I --

6 MR. OVERSTREET: Oh, absolutely. I'm sorry,  
7 I didn't mean to step on your toes.

8 EXAMINATION

9 By Commissioner Breathitt:

10 Q. Mr. Wohnhas, you had no idea there was going  
11 to be this polar vortex, though, when you were  
12 having these November meetings.

13 A. That is correct.

14 Q. Okay.

15 A. I mean, that's been our -- there's been -- it  
16 was not anticipated that we have this type of load,  
17 that we'd have this increase. As I stated a couple  
18 times, that if the weather had been the same in '14  
19 as '13, you know, even though we offer our units in  
20 as they're available, but if there's not a market  
21 for it, they're not taken, and if they're not  
22 running, then there's no-load cost.

23 Q. Do you happen to know -- I know Dr. Pearce  
24 has left the stand, but do you happen to know if  
25 that 300-megawatt minimum could be a different

1 number? Could it be 250, could it be 200, could it  
2 be 310?

3 A. Well, I mean, it's different between each  
4 unit.

5 Q. I know. We're talking about Big Sandy 2. Is  
6 300 --

7 A. It's pretty much at that 300.

8 Q. Who determines that megawatt number for  
9 Big Sandy 2, for example, that 300-megawatt number?  
10 How is -- do you know how that's determined?

11 A. I don't know exactly who -- who within the  
12 Company determines that 300.

13 Q. Could it be a different number? Or is it --  
14 is it a formula that arrives at that no matter what?

15 A. You would have to ask Dr. Pearce.

16 Q. Okay.

17 COMMISSIONER BREATHITT: Thank you. Go  
18 ahead.

19 DIRECT EXAMINATION

20 By Mr. Overstreet:

21 Q. Mr. Wohnhas, Vice-Chair Gardner was asking  
22 you about the -- your discussions about these  
23 certain technical specifics that were modified and  
24 updated at the beginning of 2014. I'm going to hand  
25 you Dr. Pearce's response to KIUC 2-5 in this

1 proceeding, and page 2 of 2.

2 Are these the technical specifications that  
3 you had those discussions with Dr. Pearce about.

4 A. Yes, they were.

5 CHAIRMAN ARMSTRONG: May I see those?

6 MR. OVERSTREET: Oh, absolutely. I  
7 apologize. I'm sorry, didn't mean to drop it.

8 CHAIRMAN ARMSTRONG: You just looked at  
9 these?

10 THE WITNESS: I just looked at them, yes,  
11 sir.

12 CHAIRMAN ARMSTRONG: So Dr. Pearce did talk  
13 about no-load conditions, didn't he? It says here.

14 THE WITNESS: Yes. That was what I was  
15 just -- he came down and described those issues to  
16 us, and when he came down November-December time  
17 frame. Yeah, that's what he came down to explain,  
18 but in the context of that is -- you know, it's all  
19 around no-load, but those were the specific things.

20 MR. OVERSTREET: May I approach?

21 VICE-CHAIRMAN GARDNER: Yes.

22 MR. RAFF: Are you done, Mark?

23 MR. OVERSTREET: Yes.  
24  
25

## CROSS-EXAMINATION

1  
2 By Mr. Raff:

3 Q. Just one questions.

4 Mr. Wohnhas, I'm still trying to kind of  
5 understand the reason why the no-load costs were so  
6 high in January and February of 2014, and is it  
7 because the polar vortex resulted in a much higher  
8 than previously experienced demand for Kentucky  
9 Power's generation, and that higher demand allowed  
10 Kentucky Power to make a significantly greater level  
11 of off-system sales, and those off-system sales  
12 result in higher costs to rate payers because the  
13 rate payers are paying 100 percent of the no-load  
14 costs.

15 A. The -- I'm sorry, that was a long question.  
16 I was having trouble following it, and I apologize.  
17 Could you repeat that?

18 Q. It's okay. In trying to understand why the  
19 no-load costs were so high in January and February  
20 of this year, and you attribute it to the polar  
21 vortex. Now, my understanding of the polar vortex  
22 was it was very cold weather experienced, which I  
23 assume resulted in demand for electricity being much  
24 higher than it was, for example, in January of 2013.

25 A. That is correct.

1 Q. Okay. So the high demand would have enabled  
2 Kentucky Power to make significantly more off-system  
3 sales than it had in 2013, and the more off-system  
4 sales that you make, is it that that results in  
5 higher costs to rate payers because you're incurring  
6 more or -- in more hours no-load costs?

7 A. Oh, it's not just the idea of off-system  
8 sales, you know. When you have, you know, number  
9 one, the increased load, so in many cases during  
10 January you would have all the units dispatched into  
11 the system, and I think as we've stated many times,  
12 the idea of assigning the highest on the top-down  
13 method, but if you have that phenomenon of the load,  
14 you will also -- and so those -- as you come down to  
15 the minimum, then that gets assigned internal, but  
16 you will have additional off-system sales that occur  
17 because you have all the units available in the  
18 system.

19 Q. So you're saying if it had not been for the  
20 polar vortex, you would not have run one or more of  
21 the units?

22 A. That's -- that's the idea. Even if they were  
23 available, as we've said, you offer them in to PJM,  
24 all right. PJM is going to accept them based on the  
25 load that they see and the prices, and if it had

1       been like 2013, you know, many of those days, even  
2       though you had offered into the system, they may not  
3       have been accepted as needed for them, and then you  
4       would not have run them. If they're not run, then  
5       there is no no-load cost.

6       Q.       All right.

7               MR. RAFF: Thank you.

8               THE WITNESS: You're welcome, sir.

9               MR. OVERSTREET: One follow-up.

10                               REDIRECT EXAMINATION

11       By Mr. Overstreet:

12       Q.       Mr. Wohnhas, Mr. Raff asked you about the  
13       effect of the polar vortex, the extremely cold  
14       temperatures in January and February on off-system  
15       sales.

16               Isn't it true that as a result of the cold  
17       weather experienced in Kentucky Power's service  
18       territory, the internal demand of its native load  
19       customers also went up.

20       A.       Yes, and that's what was first -- the units  
21       were first to take care of the internal load.

22       Q.       And isn't it also true that Dr. Pearce's  
23       nearly \$10 million calculation shows the savings  
24       that the -- over the four months, that the Kentucky  
25       Power's native load customers realized as a result

1 of having the Mitchell Unit available to meet that  
2 increased internal demand as opposed to having to go  
3 out and buy power on the -- in the market?

4 A. Yes.

5 MR. OVERSTREET: That's all I have.

6 VICE-CHAIRMAN GARDNER: Any other questions?

7 Mr. Raff?

8 MR. RAFF: Nothing further.

9 VICE-CHAIRMAN GARDNER: Thank you. You may  
10 step down.

11 THE WITNESS: You're welcome, sir.

12 MR. OVERSTREET: I'm sorry, that's our last  
13 witness.

14 MR. KURTZ: Your Honor, our first witness is  
15 Mr. Hayet.

16 I think the witness is giving the court  
17 reporter a copy of his testimony.

18 MS. HARWARD: Has it been filed?

19 MR. KURTZ: Yes, it's been filed. Do you  
20 need it?

21 MS. HARWARD: You want me to have it?

22 MR. KURTZ: No, it's filed with the  
23 Commission. I'll take it back. I'm sorry.

24 VICE-CHAIRMAN GARDNER: That's okay.

25 \* \* \*

1 PHILIP HAYET, called by KIUC, having been  
2 first duly sworn, testified as follows:

3 VICE-CHAIRMAN GARDNER: Please state your  
4 name.

5 THE WITNESS: My name is Philip Hayet.

6 VICE-CHAIRMAN GARDNER: And with whom are you  
7 employed?

8 THE WITNESS: I'm employed with J. Kennedy &  
9 Associates, Incorporated.

10 VICE-CHAIRMAN GARDNER: And what is your  
11 position with them?

12 THE WITNESS: Director of consulting.

13 VICE-CHAIRMAN GARDNER: Okay.

14 MR. KURTZ: Thank you, Your Honor.

15 DIRECT EXAMINATION

16 By Mr. Kurtz:

17 Q. Mr. Hayet, do you have in front of you the  
18 document, Direct Testimony and Exhibits of Philip  
19 Hayet?

20 A. Yes, I do.

21 Q. Was this prepared by you or under your direct  
22 supervision?

23 A. Yes, it was.

24 Q. If I were to ask you the same questions as  
25 those contained herein, would your answers be the

1 same?

2 A. They would.

3 Q. Do you have any corrections or additions?

4 A. I do. I think I have three corrections to  
5 make, and I'll begin on page 10, and the first  
6 correction to make is on line 22, and the word  
7 "hours" that appears after "1,622-megawatt" and then  
8 the word "hours" should come out. The intention was  
9 1,622 megawatts, which is the peak load in the four  
10 month period, just for context.

11 The second adjustment, or the second  
12 correction, I should say, is on page 11, and this  
13 was noted earlier today that there was a correction.  
14 It's an inconsequential correction, and it's on line  
15 number 5 where it reads, "than 31 percent," and that  
16 ought to be 30.1 percent, and that had to do with  
17 the discussion that you were having with Mr. Ranie.

18 In fact, the next line down, I might point  
19 out, refers to the fact that Kentucky Power, because  
20 of those 31 percent of the hours, had to change its  
21 reconstruction accounting procedure. So I hope  
22 we'll have an opportunity to discuss that further,  
23 but that's the second correction.

24 The third correction is on page 12, and it's  
25 the same inconsequential correction. In other

1 words, it says, "during 31 percent of the hours,"  
2 and that should be -- again, inconsequential  
3 correction -- 30.1 percent of the hours. However,  
4 the point is still made. And that is all the  
5 changes.

6 MR. KURTZ: Okay. Thank you, Your Honor.  
7 The witness is subject or ready for cross.

8 MR. GISH: Mr. Vice-Chairman, the Company has  
9 no questions for Mr. Hayet.

10 VICE-CHAIRMAN GARDNER: Questions?

11 CROSS-EXAMINATION

12 By Mr. Raff:

13 Q. Can you refer to KIUC/AG's response to  
14 Commission Staff's first request, item number 4?

15 When you were asked why you were not  
16 recommending disallowance of the 13.15 million  
17 identified in Kentucky Power's response to Staff's  
18 second request, Item 4 b. (3) you stated that this  
19 would be an unreasonable approach, and you then --  
20 well, could you read the two sentences.

21 A. Yes, I would. I'd like to state, though,  
22 that it says this would not be an unreasonable  
23 approach.

24 Q. I'm sorry.

25 VICE-CHAIRMAN GARDNER: I'm lost. Can you

1 tell me where this reference is again, please?

2 MR. RAFF: Staff first request, item number  
3 4, and I don't believe it's in the package that I  
4 gave you. It should be in your notebook.

5 VICE-CHAIRMAN GARDNER: That's not what I've  
6 got. And it's Staff's --

7 MR. OVERSTREET: Mr. Raff, I have an extra  
8 copy of it.

9 CHAIRMAN ARMSTRONG: I don't have it either.

10 COMMISSIONER BREATHITT: Number 4?

11 VICE-CHAIRMAN GARDNER: Staff's first set of  
12 data requests?

13 MR. RAFF: To KIUC, the AG.

14 VICE-CHAIRMAN GARDNER: Oh, okay. ICIC,  
15 that's number 9. Okay. Sorry.

16 CHAIRMAN ARMSTRONG: What is it?

17 VICE-CHAIRMAN GARDNER: It's KIUC/AG  
18 responses to PSC first set of data requests. It was  
19 Number 4?

20 MR. RAFF: Yes, sir. 4 b. (3).

21 Q. Could you read those two sentences?

22 A. Okay. Tell me if I'm where you're expecting.

23 Q. Sure. "This would not be an unreasonable" --

24 A. Yeah, I've got it. Okay. Perfect.

25 "This would not be an unreasonable approach

1 for allocating just no-load cost between native load  
2 and off-system sales if those were the only costs  
3 that had to be allocated. However, because no-load  
4 costs, non-no-load fuel costs, and purchase power  
5 costs are included in the fuel clause and need to be  
6 allocated as well."

7 Q. Thank you. If it is the case that the  
8 non-no-load costs were allocated in your  
9 calculation, but not in the response to Item 4 b.  
10 (3) of Staff's second request, can you explain why  
11 the amount calculated by you, excluding interest, is  
12 less than the amount identified in response to Item  
13 4 b. (3)?

14 A. Item 4 b. (3) is a question to who? I'm  
15 sorry. Is that a question that went to the Company?

16 Q. The Company, I believe.

17 A. Okay. You might have to --

18 MR. KURTZ: Can we have a little foundation,  
19 Mr. Raff?

20 That's where you said take the total no-load  
21 fuel cost and allocate it by megawatt hours sales  
22 that off-system at the native load, is that --

23 Q. The question to Kentucky Power was the --  
24 refer to the response to item 29e, provide the  
25 amount by months that would have been allocated to

1 internal load customers if, quote, "no-load costs,"  
2 close quote, had followed the allocation of all  
3 other fuel costs.

4 A. Right. I believe I'm familiar with that, and  
5 that showed that there was an allocation based on  
6 megawatt hours between native load and off-system  
7 sale, and I believe that was the 13.15 million  
8 that's referred to here in the question, but would  
9 you do me a favor and repeat the question to me?

10 Q. Certainly. The question was if it's true  
11 that the non-no-load costs were allocated in your  
12 calculation, but not in the Company's response to  
13 Item 4 b. (3) of Staff's second request, can you  
14 explain why the amount calculated by you, excluding  
15 interest, is less than the amount identified by the  
16 Company in their response to Item 4 b. (3)?

17 A. I think it has to do with the fact that we're  
18 allocating all of the costs, and there are no-load  
19 costs going to both native load and off-system sales  
20 under our approach.

21 It resulted in a small difference, the 12.68  
22 versus 13.15, but I think it is not a -- an attempt  
23 to match exactly this number.

24 I don't have a complete answer for you on  
25 that, but I think it is basically our allocation

1 process, sending some of the costs to native load.

2 MR. RAFF: Thank you. I have no other  
3 questions.

4 COMMISSIONER BREATHITT: I don't have  
5 anything.

6 EXAMINATION

7 By Vice-Chairman Gardner:

8 Q. Mr. Hayet, I have one question. I guess I'll  
9 take the bait. On page 11 of your testimony, can  
10 you describe to me how Kentucky Power changed its  
11 FAC reconstruction process?

12 A. Yes, I can. And that really does relate to  
13 the 31 percent of the hours in which -- they're  
14 actually selling off-system, the so-called no-load  
15 segment, if you will, the minimum segment of the  
16 unit, because it's unneeded to serve native load.

17 There's so much excess capacity. In fact, I  
18 even have a chart I'm looking at in front of me that  
19 if I were able to show you, I could explain from  
20 this chart how there are all these hours in which  
21 sales are being made off of the minimum segments.

22 And when you take it -- when you have a  
23 situation in which you're selling off the minimum  
24 segments, they had to change the logic. They had to  
25 go in and change the reconstruction logic because

1 they may not have done that very often before, or  
2 they had an approach to deal with it before, and  
3 they eliminated it.

4 The approach that they had to deal with it  
5 before is they said, all right, the minimum is here.  
6 That's what we call the economic minimum. Reset the  
7 economic minimum to the emergency minimum.

8 What is the emergency minimum? That's a  
9 state that you can operate a unit in. Despite  
10 everything we've been hearing about units being  
11 unable to operate below the minimum, they can. They  
12 can operate at the -- at the emergency minimum.  
13 Obviously you would call it the emergency because  
14 it's not desirable to operate at the emergency  
15 minimum very much, but they do.

16 And so what they did in the logic previously,  
17 perhaps for all the years that they -- prior to how  
18 they changed it to now, is like I said, they would  
19 drop the emergency -- they would drop the minimum  
20 down to the emergency minimum, and then quite likely  
21 they weren't in a situation where now they're  
22 selling off a minimum segment, and they continued.

23 And that was one thing that they said, well,  
24 they came up with some explanation and said it's  
25 really not economic to operate in emergency minimum,

1 so let's stop doing that, but really you have to tie  
2 together the pieces, which is this excess capacity,  
3 this 31 percent of the time they're selling off the  
4 minimum segments. It's happening so much that there  
5 was a set of things that were done at that point to  
6 change the logic.

7 And it wasn't just a small change, okay. I  
8 know how they characterized it. I think they -- you  
9 know, when the wording was clear to say what change  
10 did you do to the methodology, they said, we did no  
11 change to the methodology. I mean, they were very  
12 clear to say that. They said, we changed, certain  
13 technical specifications were modified and updated.  
14 So it was more than that, and that was one thing  
15 that they did.

16 The second thing that was done was in  
17 recognition that you're going to now sell off  
18 minimum segments, you have to have a way -- because  
19 they spent so much time talking to you about this  
20 incremental sale off the top, and in that world  
21 you're well far away from a minimum segment, and you  
22 are never talking about actually selling off minimum  
23 segments, which of course you're doing because you  
24 have so much excess capacity.

25 And will you allow me the opportunity to show

1 you? I have two charts I think will clearly explain  
2 what I'm trying to talk about.

3 VICE-CHAIRMAN GARDNER: Show it to them  
4 first.

5 MR. OVERSTREET: Are these charts in your  
6 testimony?

7 THE WITNESS: They aren't.

8 MR. OVERSTREET: I'm going to object. I  
9 mean, that's -- that's not proper. If he wanted to  
10 rely on it, then he needed to include it in his  
11 testimony.

12 VICE-CHAIRMAN GARDNER: I'll agree with that.

13 COMMISSIONER BREATHITT: I do too.

14 A. Okay. Well, I'll do my best to explain the  
15 situation.

16 The 31 percent of the hours in which you're  
17 selling off the minimum segments, that means that  
18 unit really doesn't have to operate to serve native  
19 load, and when you sell that capacity off-system,  
20 and it doesn't have to serve native load, native  
21 load customers effectively get zero megawatts from  
22 that unit. But at the same time, they assign the  
23 no-load costs to those units -- of those segments to  
24 native load customers.

25 So you could have a situation where a unit --

1 take Big Sandy 2, for example. Big Sandy 2 could be  
2 operating in an hour, it could be operating in ten  
3 hours. In fact, it could be operating in 31 percent  
4 of the hours where all it's doing is selling off  
5 system.

6 And you take that energy and say, go serve  
7 customers out of state or somewhere else in PJM.  
8 And at the same time, while you should assign all  
9 the fuel costs to the off-system sale, they assign  
10 the no-load fuel costs to native load customers.

11 So the change that was made was they had --  
12 they said, all right, we recognize that with the  
13 minimum segment, we're going to allocate the  
14 non-no-load costs between native -- we're selling it  
15 off, we're going to allocate the non-no-load costs  
16 between native load customers and off-system sales.

17 Or they said if we're selling it off  
18 entirely, let's say 300 megawatts in this hour,  
19 Big Sandy 2 was entirely not needed to serve native  
20 load, then all of the non-no-load minimum segment  
21 costs were sent off system.

22 However, the no-load costs, the no-load  
23 portion of the costs of the minimum segment cost,  
24 that minimum segment being sold off-system, is  
25 always going to native load customers. And the

1 change that they made was to how they went about  
2 doing that math associated with taking part of the  
3 costs and allocating, part of the costs being the  
4 non-no-load costs going off-system, and also making  
5 sure that the no-load costs remained with the native  
6 load customers.

7 That was a change that -- those two changes  
8 as I just went through were the changes that had to  
9 be made as of January 2014 related to the fact that  
10 there was excess capacity on the system once  
11 Mitchell came on to the system.

12 VICE-CHAIRMAN GARDNER: Thank you.

13 Redirect.

14 REDIRECT EXAMINATION

15 By Mr. Kurtz:

16 Q. Just one redirect question, Mr. Hayet. You  
17 were describing at length the situation where native  
18 load customers get no -- get zero megawatts, but pay  
19 for the no-load costs; is that correct?

20 A. That is correct.

21 Q. Just very briefly, explain that one more  
22 time, where native load gets zero megawatts, but  
23 pays for no-load costs.

24 A. Once again, in the 31 percent of the hours in  
25 which these minimum segments -- actually, in a

1 hundred percent of the hours, no-load costs stick  
2 with the native load customers, but we were talking  
3 about the 31 percent, and we were talking about the  
4 change that they made to the logic.

5 In hours in which, for example, Big Sandy 2,  
6 all of that, 300 megawatts of that minimum segment  
7 is being sold off-system, it's not needed for native  
8 load. Zero megawatts of Big Sandy 2 would go to  
9 serve native load customers. All of the no-load  
10 costs would get assigned to native load customers.

11 So you cannot say the native load customers  
12 would be indifferent to have those off-system sales  
13 being made. They'd be better off if those  
14 off-system sales were not made.

15 MR. KURTZ: No further questions.

16 VICE-CHAIRMAN GARDNER: Mr. Raff?

17 Any --

18 MR. GISH: I have no questions.

19 VICE-CHAIRMAN GARDNER: Thank you, Mr. Hayet.

20 MR. KURTZ: Last witness, Your Honor,  
21 Mr. Kollen.

22 VICE-CHAIRMAN GARDNER: Mr. Kollen, good  
23 evening.

24 THE WITNESS: Hi.

25 \*

\*

\*



1 Q. Any corrections or additions?

2 A. No.

3 MR. KURTZ: Thank you, Your Honor. Witness  
4 is ready for cross.

5 MR. OVERSTREET: We have no question for  
6 Mr. Kollen at this time.

7 VICE-CHAIRMAN GARDNER: Mr. Raff?

8 MR. RAFF: No questions, Your Honor.

9 VICE-CHAIRMAN GARDNER: Linda? I have no  
10 questions.

11 MR. KURTZ: Can I do redirect?

12 COMMISSIONER BREATHITT: I have a question.

13 EXAMINATION

14 By Commissioner Breathitt:

15 Q. Mr. Kollen, why do you think the point in  
16 time was that caused AEP to go to Kentucky and  
17 explain a change in how they are doing their -- what  
18 was the precipitating event or point in time?  
19 Why -- why did it have to be at the end of 2013? Do  
20 you know?

21 A. Well, I think that the problem was is that  
22 they knew they were going to run into the minimum  
23 segment problem where the sum of all the minimum  
24 segments over the six generating units in many hours  
25 would exceed the native load.

1           So the question is, what do you do then with  
2 the non-load or the no-load costs, and what do you  
3 do with the other minimum segment costs? So what  
4 they decided to do, I think, is do something with  
5 the other minimum segment costs by allocating those,  
6 but they left the no-load costs untouched. Those  
7 still get pushed 100 percent to the native load  
8 customers, even if the native load customers are  
9 getting no generation out of that minimum segment.

10           So I think they recognized we have a problem  
11 because of the excess capacity, and in so many hours  
12 we're operating, our native load doesn't even reach  
13 the sum of the minimum segments, so we have to do  
14 something.

15 Q.       Was this unique to Kentucky, or in your view  
16 from preparing for this case, was this a unique  
17 Kentucky situation, or was it happening in other  
18 places in their service territory?

19 A.       Well, it was unique to Kentucky because of  
20 the overlap of the Mitchell capacity with the runout  
21 of the Big Sandy 2 capacity in particular, the  
22 17-month overlap and the excess capacity there.  
23 That really was the driver.

24 Q.       So that -- do you know -- Mr. Raff was asking  
25 other witnesses if they were aware if other states

1 in AEP's service territory were facing this. Would  
2 you have -- do you have any knowledge of that?

3 A. With respect to the no-load costs, no. That  
4 has never come up in my experience on any of the AEP  
5 companies, and including fuel audits that we have  
6 done of other AEP companies.

7 EXAMINATION

8 By Vice-Chairman Gardner:

9 Q. And one follow-up question. And other than  
10 no-load costs, what are examples of other costs that  
11 are included within minimum segments?

12 A. I'm not sure exactly what they pack into  
13 that, but the no-load costs are the significant  
14 subset of the minimum segment costs. And I think  
15 there is a recitation of some of those costs in  
16 response to one of the Staff data requests.

17 VICE-CHAIRMAN GARDNER: Okay. That's all.

18 MR. OVERSTREET: Nothing.

19 MR. KURTZ: No questions, Your Honor.

20 MR. RAFF: No questions.

21 VICE-CHAIRMAN GARDNER: All right. Do you  
22 want to introduce your --

23 MR. KURTZ: Oh, yes, sir. We have exhibits  
24 KIUC Exhibits 1 through 11, cross-examination  
25 witness.

1 VICE-CHAIRMAN GARDNER: Any objections?

2 CHAIRMAN ARMSTRONG: Is Mr. Kollen finished?

3 MR. OVERSTREET: I'm sorry?

4 CHAIRMAN ARMSTRONG: Is Mr. Kollen finished,  
5 the witness?

6 MR. KURTZ: Yes, sir. Yes, sir, he is.

7 MR. OVERSTREET: And I have no objections to  
8 these.

9 VICE-CHAIRMAN GARDNER: So ordered, they're  
10 admitted.

11 (KIUC Exhibits 1-11 admitted.)

12 VICE CHAIRMAN GARDNER: And did the order set  
13 a briefing schedule?

14 MR. OVERSTREET: It did not, Mr. Vice-Chair.  
15 And I've spoken to Mr. Cook, Mr. Kurtz, and  
16 Mr. Raff. I know that with the earlier cases, the  
17 briefs would be due 28 days from today.

18 I had suggested to them that given the  
19 breadth of this hearing being much broader, that  
20 perhaps more time would be appropriate, and they  
21 indicated that December 23rd for simultaneous briefs  
22 would be okay with them, assuming it's okay with the  
23 Commission and everyone.

24 VICE-CHAIRMAN GARDNER: Any objection? Any  
25 objection?

1 MR. RAFF: No objection to that date, Your  
2 Honor.

3 VICE-CHAIRMAN GARDNER: Okay. So  
4 simultaneous briefs are due December the 23rd, and  
5 the post-hearing data requests?

6 MR. OVERSTREET: Right, and with the panel  
7 witnesses, I indicated that that was just a single  
8 question, it's just really fixing a chart.

9 VICE-CHAIRMAN GARDNER: Seven days.

10 MR. OVERSTREET: Seven days. Because these  
11 are much more detailed and much more numerous, could  
12 we have the 14 days that everyone else got?

13 VICE-CHAIRMAN GARDNER: Sure, yeah. So with  
14 respect to this issue, 14 days for post-hearing data  
15 requests. Okay.

16 Thank you-all so much. Thank you for  
17 your-all's patience and going so long. We  
18 appreciate it. And appreciate your courtesy to each  
19 other.

20 MR. OVERSTREET: And I'll see you at  
21 10:00 o'clock tomorrow morning.

22 VICE-CHAIRMAN GARDNER: Yes, sir.

23 (Hearing concluded at 8:40 p.m.)


24 \* \* \*


25

1 STATE OF KENTUCKY )  
2 ) ) SS.  
3 ) )  
4 COUNTY OF JEFFERSON )

4 We, Laura J. Kogut and Jennifer R. Janes,  
5 Notaries Public within and for the State at Large,  
6 commissions as such expiring 25 July 2015 and 16 May  
7 2015 respectively, do hereby certify that the  
8 foregoing hearing was taken at the time and place  
9 stated and for the purpose in the caption stated;  
10 that witnesses were first duly sworn to tell the  
11 truth, the whole truth, and nothing but the truth;  
12 that the hearing was reduced to shorthand writing in  
13 the presence of the witnesses; that the foregoing is  
14 a full, true, and correct transcript of the hearing;  
15 that the appearances were as stated in the caption.

16 WITNESS my hand this 17th day of November  
17 2014.

18  
19   
20 Registered Merit Reporter  
21 Certified Realtime Reporter  
22 KY CCR 20042BF060  
23 Notary Public, State at Large

24   
25 Registered Professional Reporter  
Certified Realtime Reporter  
Notary Public, State at Large