

1 Do you know whether the company has  
2 considered reworking its rate design to align the  
3 ratepayers' interests in lower utility costs with  
4 the company's interest in staying whole and healthy?  
5 Because basing it on the viability of sales of  
6 increasingly expensive electronic industry and on  
7 technology intending to make people use less of that  
8 electricity doesn't seem to be a sustainable model.

9 A. I -- I don't know if any analysis has been  
10 done on that with respect to rate design.

11 Q. Okay. I'll check with Mr. Vaughan on that.

12 Net metering, you think I need to talk to  
13 Mr. Vaughan; right?

14 A. Yes. That's correct.

15 Q. Okay. Great. I'm just scrolling down here  
16 because we may be closer to being done here than I  
17 had anticipated.

18 A. Okay.

19 Q. Give me just a minute here.

20 Okay. And time of day rates, also  
21 Mr. Vaughan?

22 A. Yes, sir.

23 Q. Okay. And then the declining block was also  
24 him, right?

25 A. Yes. That's correct.

1 Q. Okay. Flex Pay. Do you know the raw number  
2 and percent of customers who have been disconnected  
3 during the test year for nonpaying bills?

4 A. Okay. So Kentucky Power test year,  
5 disconnected for non-pay. Is that right?

6 Q. Yeah.

7 A. I think for -- for total, it's just a shade  
8 under 11,000, and for residential I think it was  
9 around 10,400.

10 Q. Okay. Great. And am I correct in  
11 understanding that Kentucky Power has not, to date,  
12 performed any studies regarding the impact of a Flex  
13 Pay program on the incidence of disconnections?

14 A. Yeah. That would be right. We haven't done  
15 any studies.

16 What we did is talked to one of our sister  
17 companies, Public Service Company of Oklahoma, who  
18 has a -- I think they've had a Flex Pay -- it's in  
19 my testimony, but I think it's been since 2015 or  
20 2016. They've had a lot of great things to say  
21 about that program. So we talked a lot with them  
22 when we were trying to put this together.

23 Q. Okay. And did I misunderstand the testimony  
24 that the program in Oklahoma actually started an  
25 increase in disconnections for customers who used

1 the Flex Pay option?

2 A. Yeah. Initially -- this is my understanding.  
3 Initially, it did, and they -- as far as I know they  
4 didn't do any studies on it either to determine why  
5 that was, but the popular thought -- and I tend to  
6 agree with this -- is that customers that -- it's  
7 sort of a -- a step change, if you will, from --  
8 from the way that we normally do, you know, with  
9 post -- post-pay billing, where, you know, a  
10 customer is -- is more -- on the Flex Pay, they're  
11 more accustomed to paying, say, smaller amounts more  
12 frequently instead of paying a larger amount once a  
13 month.

14 And until they kind of get the hang of it,  
15 you know, there's -- there was a -- they saw an  
16 increase in those -- in those disconnections early  
17 on, until a customer kind of got accustomed to it.

18 But the great thing about that is that, you  
19 know, there's no reconnect fee, there's no late  
20 fees, there's no deposit charge, and all the  
21 customer has to do to get reconnected is pay enough  
22 to -- to get a positive balance on their account,  
23 and then they're reconnected within 15 minutes.

24 So I -- I would attribute it more to kind of  
25 an education issue of just kind of getting used to

1       how the program works.

2       Q.       Okay.  If you -- that's the Oklahoma, that's  
3       why you saw an increase initially?

4       A.       Yeah.  And that -- like I said, that came  
5       from a conversation I had had with one of our folks  
6       out in -- out in Oklahoma.

7       Q.       Okay.  Two last areas I would like to ask  
8       about.

9               Are you the person to ask about the  
10       commercial customers and the -- of the delta  
11       three-phase service, the current service, or is that  
12       something for Mr. Vaughan?

13       A.       Well, I did have something in my rebuttal  
14       testimony.  Is that what you --

15       Q.       You did.  On page 14, I think.

16       A.       Page 14.

17       Q.       Yeah.  And I just wanted to follow up on that  
18       if you're comfortable with it.

19       A.       I'll -- I'll try to help you.  I'm not an  
20       engineer, but I talked to a couple of folks to find  
21       out what -- you know, what your concern was.

22       Q.       Okay.

23       A.       And this -- this is -- this is what we came  
24       up with.

25       Q.       Wonderful.  Wonderful.  I'm not an engineer

1       either, and I didn't stay at the Holiday Inn Express  
2       last night either, so we'll try to muddle through  
3       together.

4       A.       Okay.

5       Q.       In your rebuttal testimony you mentioned that  
6       the Kentucky Power requirement is that commercial  
7       customers with a delta three-phase service are going  
8       to have to upgrade to a wye three-phase service; is  
9       that correct?

10      A.       Yes.  That's what the requirement is.

11      Q.       Okay.  And is the delta service available now  
12      to any new customers?

13      A.       I apologize.  I don't know the answer to  
14      that.

15      Q.       Okay.

16      A.       I just know that it's a safety concern, you  
17      know, for the customer system, for -- for our line  
18      personnel, and we take that pretty seriously, so we  
19      want to make sure that everything is -- is safe for  
20      the customer.

21      Q.       Sure.  Absolutely.  I think safety is of  
22      paramount concern.

23               How many existing delta accounts are in the  
24      Kentucky Power territory now, do you know?

25      A.       I do not know, sir.

1 Q. Okay. And do you know whether NMS -- the net  
2 metering customers to date have had to pay for the  
3 upgrade from delta to wye?

4 A. I do not know.

5 Q. Okay. All right. Well, then that's fair  
6 enough. I won't ask any more questions about that.  
7 Just the last couple of questions.

8 Mr. Mattison had discussed AEP's commitment  
9 to reducing carbon emissions by 80 percent by 2050  
10 and aspires to even greater reduction, zero  
11 emissions.

12 Experts on the energy transition have  
13 identified the electrification of energy loads and  
14 the expansion of renewables as a key strategy for  
15 carbonization on a large scale.

16 Has the company evaluated the potential for  
17 increasing the customer load and accelerating  
18 Mr. Mattison's goals by incentivizing  
19 electrification of the customer loads?

20 A. What was that last word, sir, incentivization  
21 of customer?

22 Q. Customer loads.

23 A. Loads.

24 Q. Yes.

25 A. Okay. I'm not aware that any analysis or

1 study has been done in that respect.

2 Q. Okay. That's fair enough.

3 MR. FITZGERALD: Mr. Chairman, I appreciate  
4 your indulgence. Mr. West, thank you very much.  
5 It's been a good conversation. I've learned some  
6 things.

7 THE WITNESS: Thank you.

8 COMMISSIONER SCHMITT: Mr. Miller for Sierra  
9 Club, any cross-examination?

10 MR. MILLER: Yes, Mr. Chairman. Just a few  
11 questions.

12 CROSS-EXAMINATION

13 By Mr. Miller:

14 Q. Hi there, Mr. West. My name is Matt Miller  
15 with Sierra Club. How are you?

16 A. I'm good. How are you?

17 Q. Not too bad.

18 Just a few questions for you depending on  
19 whether you're able to answer them.

20 Have you -- do you oversee environmental  
21 regulatory compliance as part of your  
22 responsibilities?

23 A. I mean, with respect to filings of the  
24 Commission, I certainly would be involved in that,  
25 but the details behind it would be -- would be

1 another group.

2 Q. All right. I think that I -- let me try a  
3 couple questions, and I think that may be enough to  
4 answer, but let me try them out.

5 Mr. Mattison indicated earlier this week  
6 orally that Kentucky Power will initiate a docket  
7 with the Commission seeking approval of its ELGs  
8 compliance plan for Mitchell, and I recall him  
9 saying the first few months of 2021.

10 I'm just curious if you're involved in that  
11 and if you happen to know more precisely when that  
12 will be filed?

13 A. I have been on a few calls where we've talked  
14 about the potential for that filing. We are talking  
15 about sometime in -- in the first quarter, is my --  
16 I -- sorry.

17 Q. No. That's perfectly fine.

18 So -- and -- and we won't get into the  
19 details, but I just want to ask, you know, we  
20 learned that apparently the company will be  
21 proposing to select from among other options to make  
22 capital investments at Mitchell to maintain the  
23 plant as coal-fired past 2028 and through the 2030s.  
24 At least that will be the proposal.

25 Is it safe to say that Kentucky Power's



1 analysis of the economics of that option featured  
2 some projected capacity factor as an assumption at  
3 which the coal-fired units would operate into the  
4 future?

5 A. Honestly, I can't speak to what was included  
6 in the analysis, sir. I apologize.

7 Q. That's all right.

8 The ELGs and CCR rule do not directly  
9 regulate carbon emissions, do they?

10 A. Again, I --

11 MR. OVERSTREET: Mr. Chairman, I'm going to  
12 object. This is far outside the scope of this rate  
13 case. He's asking about filing that has not even  
14 been made.

15 MR. MILLER: And I -- that was going to be my  
16 last question. I just wanted to get some clarity on  
17 a matter that was raised by a couple of the  
18 commissioners and that Mr. Mattison did speak to,  
19 and there wasn't an objection at that time.

20 COMMISSIONER SCHMITT: You can answer the  
21 question if you -- if you know.

22 THE WITNESS: Would you care to restate your  
23 question, Mr. Miller?

24 BY MR. MILLER:

25 Q. Sure. I'm just wondering can you confirm the

1 ELGs, the effluent limitation guideline, and the CRR  
2 rule do not directly regulate carbon emissions?

3 A. I honestly don't know, sir.

4 Q. I see. That's all I have. Thank you,  
5 Mr. West.

6 A. Thank you.

7 COMMISSIONER SCHMITT: Mr. Frye, any  
8 questions?

9 MR. FRYE: No questions, Mr. Chairman.

10 COMMISSIONER SCHMITT: Vice Chairman  
11 Chandler, questions?

12 VICE CHAIRMAN CHANDLER: Yeah, thank you,  
13 Chairman.

14 EXAMINATION

15 By Vice Chairman Chandler:

16 Q. Good afternoon, Mr. West.

17 A. Good afternoon.

18 Q. You have -- my desk is nothing but Post-it  
19 notes, and a couple of them have Mr. West on them  
20 where people have conferred questions to you, so  
21 apologies as they're going to be all over the place.

22 The first one I'm going to ask, I believe I  
23 asked Ms. Wiseman about it: Were your responses and  
24 supplemental responses on behalf of the company in  
25 case number 2020-00085 -- do you remember that?

1 That's the Commission's COVID docket.

2 A. Yeah. Sure.

3 Q. And do you remember the numbers -- in  
4 general, do you remember the numbers or the data we  
5 were looking at, Ms. Wiseman and I?

6 A. Was it around -- some percentages around  
7 customers paying on time?

8 Q. It was, for the residential, commercial, and  
9 industrial class.

10 A. Yes.

11 Q. Okay. And we were looking at those. As far  
12 as you remember, do you remember the -- 2017, there  
13 wasn't a complete 12 -- 12 months of data because of  
14 the archiving. Do you remember that?

15 A. I believe so. That's right.

16 Q. But there were full -- full data sets for the  
17 on-time pay percentage for 2018 and 2019 as a year.

18 Do you remember that?

19 A. I do.

20 Q. And then it provided each month January  
21 through August in that supplemental response?

22 A. That sounds correct. Yes.

23 Q. So do you remember that the -- that the  
24 on-time pay percentage January through August was --  
25 was either at, a bit higher, or a bit lower than the

1 previous two-year -- two- or three-year average. Do  
2 you remember that?

3 A. I actually don't remember those numbers  
4 specifically.

5 Q. Okay. And that's perfectly fine. And just  
6 to refresh your memory, I'll bring that Excel  
7 document up.

8 A. Okay.

9 Q. Just if you bear with me for a minute. And  
10 please let me know when you can see my screen,  
11 Mr. West.

12 A. Okay. Not yet.

13 Q. Should be coming.

14 A. Oh, there it is.

15 Q. Okay. And -- what we were looking at,  
16 Ms. Wiseman and I, were 1-9 of this supplemental  
17 attachment. Do you remember this? Zoom in.

18 A. Can you make it a little bigger?

19 Q. Certainly can.

20 A. There you go. There you go.

21 Q. All right. And do you see that the table is  
22 percent of customers that pay on time by class?

23 A. I do. I see that.

24 Q. Okay. And then there's the '17, '18, and '19  
25 average. Do you see those?

1 A. Uh-huh.

2 Q. Subsequent then as we discussed, the '17 is  
3 not a complete data set because of the archive?

4 A. Correct.

5 Q. Okay. And so the -- at least the '18 to '19,  
6 the annual average on-time pay percentage for  
7 residential customers was 82.3 and 82.35 percent.  
8 Do you see that?

9 A. I do.

10 Q. And then do you see the figures January  
11 through August for the residential customers?

12 A. I do.

13 Q. Okay. And -- and do you remember Ms. Wiseman  
14 and I talking about -- about that -- that from the  
15 Commission's order in March, in response to COVID,  
16 you're aware that the Commission did not allow and  
17 does not through the end of the year -- in a  
18 subsequent order, allow the assessment of late --  
19 late-payment fees for customers, residential  
20 customers?

21 A. That's correct.

22 Q. Okay. So for January and February, those  
23 months would -- would likely include -- or would  
24 include an on-time pay percentage for customers who  
25 would have been at least aware that the tariff -- or

1 paying with the understanding that the tariff  
2 includes a late-payment fee, right?

3 A. We could assume that some would, yes.

4 Q. Right. And then at least a portion of March  
5 but through August, there was no late-payment fee  
6 assessed or allowed to be assessed to those  
7 customers, correct?

8 A. That is correct.

9 Q. And would you agree that the on-time pay  
10 percentage did not materially change through those  
11 months when there were no -- when there was no  
12 late-payment fee assessed?

13 A. I would agree that it didn't seem to be move  
14 -- move around too much. And my take on it is that,  
15 you know, there's -- customers that like to pay on  
16 time will pay on time, and they don't -- they don't  
17 want to incur late fees.

18 And I'll -- I'll tell you right now, I'm  
19 married to someone like that. My wife would sooner  
20 poke her eye out than dare to incur a late fee.  
21 She'll mail a payment two weeks ahead of time to  
22 make sure that there is no chance that she'll incur  
23 a late fee.

24 So I think that the late fee for 80-some  
25 percent of our customers is -- is effective at

1 incenting them to pay on time and -- anecdotally.

2 Q. Well, if it -- if it affects behavior, then  
3 why in the absence of the late fee did behavior not  
4 change?

5 A. I think that that is probably because  
6 typically, you're not going to just stop what you've  
7 been doing for 50 years or the mindset you have that  
8 "I don't want to be late, I want to make sure that  
9 I'm paid on time."

10 I don't think that that would affect, you  
11 know, where somebody would just decide, "Well, I'm  
12 going to slack off these next so many months because  
13 the Commission says they're not going to, you know,  
14 charge me any, and then I'll start up again."  
15 It's my opinion that that's not likely.

16 Q. Okay. Do you know if that's the case for  
17 commercial and industrial customers in the company's  
18 territory?

19 A. I don't know.

20 Q. Okay. No, that's okay. We can just look and  
21 see at the data that we have, right, on that  
22 subject? Do you see the Excel spreadsheet?

23 A. I do.

24 Q. Do you see there was -- at least through  
25 August there was a -- I would call it a material

1 reduction in the on-time pay percentage for  
2 commercial and industrial customers?

3 A. And I think that -- that part of the -- you  
4 know, the effects of the pandemic I'm sure had  
5 effects on those customers, and I'm sure they wanted  
6 to pay on time. A lot of them wanted to pay on time  
7 and continue as they always had but probably found  
8 themselves in a situation where they couldn't.

9 Q. And you don't think that's the case for  
10 Kentucky Power's residential customers?

11 A. I think it could be. I'm just giving you my  
12 opinion on -- you know, based on personal knowledge.  
13 I'm sure there were some customers that wanted to  
14 pay on time, and -- and they could not for whatever  
15 reason.

16 But I -- I feel strongly that there are a lot  
17 of people that -- that it's in their mindset, and as  
18 long as they can -- they can do it, they will  
19 continue to pay on time.

20 Q. Okay. And -- and do you remember  
21 Ms. Wiseman's -- when she was -- the company's  
22 attorneys provided redirect to Ms. Wiseman where she  
23 was asked about -- I think it was Ms. Wiseman that  
24 said that -- that maybe she didn't think that it did  
25 have an impact, but that on redirect, she was asked



1 specifically about the other uses for -- for having  
2 the late-payment fee.

3 Do you remember her being asked and answering  
4 that question?

5 A. Vaguely. I don't remember what her answer  
6 was.

7 Q. Well, she did mention that it reflect -- I  
8 believe -- goodness -- that it reflects account  
9 receivable -- that it reflects the company's  
10 accounts receivable?

11 A. I generally remember that question, yeah.

12 Q. Okay. So let me ask you this: In your  
13 opinion, and given your position at Kentucky Power,  
14 what's the purpose of a late-payment fee?

15 A. Well, I believe it does -- the purpose is to,  
16 one, incent customers to pay on time; and, two, to  
17 pay towards some of the fees that were referenced by  
18 Company Witness Wiseman.

19 Q. Okay. And do you know what the company does  
20 with its accounts receivables -- receivables?

21 A. We factor our accounts receivables, meaning  
22 we sell them to AEP credit.

23 Q. And when do you-all do that?

24 A. I think that those are done on a daily basis,  
25 since we -- you know, whenever we're reading meters,

1 we're billing customers that night. I'm really not  
2 the expert on this.

3 I think that -- well, I'm not sure who is.  
4 I apologize. I don't have a whole lot of knowledge  
5 on that.

6 Q. Well, no, I -- I asked Ms. Wiseman about it,  
7 and she did defer to you.

8 And on redirect, the company's attorneys  
9 asked her questions about what other purposes it  
10 serves, and -- and she said that it -- paraphrasing  
11 here, it reflects the cost of the past-due  
12 receivables, but if the company settles their  
13 account receivables each day, then what is the cost  
14 of past-due receivables?

15 A. Then what is the cost of what?

16 Q. Well, she said something about past-due  
17 receivables. Right?

18 If somebody hasn't paid -- well, let me ask  
19 it this way: If somebody hasn't paid, right -- if  
20 you charge somebody for something -- not even  
21 talking about the company. You're a handyman. You  
22 charge -- you do a job for them, and you have done  
23 the job, and then you send them the bill, right?

24 You've already had the capital outlay -- or  
25 you've already done the work, right? And so every

1 day it takes for them to pay you, you're effectively  
2 financing that, right? That's a real cost. Whether  
3 it's an opportunity cost or whatever it may be, it's  
4 a real -- it's a real economic cost to the person  
5 who has sent the invoice. Right?

6 A. Yeah, okay.

7 Q. Okay. But -- but imagine the day that  
8 that -- that person sends the invoice out, they  
9 immediately sell that account receivable to somebody  
10 else and they get paid. They don't have any -- any  
11 concern anymore how long it takes to get recovered,  
12 right? They don't have any economic cost going  
13 forward.

14 Wouldn't that be the case for the companies?

15 A. Well, what we've seen, though, is an increase  
16 in the amount of delinquencies, the increase in  
17 collectibles, and there's -- it's my understanding  
18 there is a collection experience fee that is  
19 charged, and I guess the -- the larger of  
20 outstandable -- of outstanding debt is in the bad  
21 debt expense, the uncollectibles, the higher that  
22 collection experience fee is.

23 So in a way that's like a carrying charge for  
24 a company that -- you know, for a company that  
25 factors their receivables, it's the equivalent --

1 that's how I think of it, anyway, the equivalent of  
2 a carrying charge.

3 Q. If a person is struggling to pay the bill at  
4 the due date, is it your experience that they're  
5 going to be able to pay their bill following the due  
6 date and after the assessment of additional fees?

7 A. I don't know. It depends on a lot of  
8 factors, I would think.

9 Q. And is it your experience that as rates go  
10 up, that as a general matter, people are more able  
11 to afford their bills?

12 A. Again, that depends on a lot of factors. One  
13 bill could go up, one bill could go down. There  
14 could be a change in any number of things that would  
15 affect whether a customer can -- can afford that  
16 bill or not.

17 Q. But -- but, Mr. West, holding all other  
18 things equal, the more expensive something is, the  
19 less affordable it is, right? That's intuitive.

20 A. Well, it depends on -- on the customer, I  
21 think, or the situation.

22 Q. Okay. So the only -- I guess the only other  
23 chance I have on the issue in terms of account  
24 receivables would be Mr. Vaughan. Is that -- is  
25 that a fair assessment?

1 A. And I -- I don't know if Mr. Vaughan knows a  
2 lot about that. I honestly don't know. But you can  
3 certainly ask.

4 Q. Okay. So staff -- Commission staff was  
5 asking you earlier about the EEI dues. Do you  
6 remember that?

7 A. I do.

8 Q. Okay. And the actual expenses -- you went  
9 through an Excel spreadsheet with Ms. Vinsel. Do  
10 you remember that?

11 A. Uh-huh. Yeah.

12 Q. And I think it was -- excuse me for a second  
13 -- response to an Excel spreadsheet -- attachment to  
14 it in response to KPSC2-47. And I'll bring it up  
15 here in a minute.

16 But is that what you remember it being, that  
17 attachment to?

18 A. Yes.

19 Q. And that's where that \$88,000 sum was related  
20 to EEI dues. Do you remember that?

21 A. Yes.

22 Q. Okay. And -- and the reason I'm asking, big  
23 picture to start off with: The data there was  
24 provided by Ms. Scott and Ms. Whitney. I think they  
25 were the respondents to the data requests. Right?

1 My question is different. Rather than the  
2 people who were able to provide the data, who is  
3 supporting the reasonableness of recovering the  
4 expenses included in those Excel spreadsheets?

5 Does that question make sense?

6 A. I think so. Who supports the reasonableness  
7 of recovering the -- like the \$88,000?

8 Q. Right. Because you addressed the \$88,000 in  
9 your rebuttal testimony, so I take it as with the  
10 \$88,000, you're the one supporting the  
11 reasonableness of the recovery, correct?

12 A. I would say that that's fair.

13 Q. Okay. And I'm just curious, the other  
14 expenses in that document, not in terms of -- you  
15 know, Ms. Whitney worked for AEPSC, correct?

16 A. Yes. That's correct.

17 Q. And she was able to provide the data in her  
18 role as an accountant on behalf of Kentucky Power,  
19 right?

20 A. That's right.

21 Q. And Ms. Scott works for you, correct?

22 A. Yes. She does.

23 Q. Okay. And your role in this case -- it's not  
24 your expectation that either of those two people are  
25 necessarily able to speak to the company's ability

1 to argue that the individual costs included in that  
2 are reasonable for recovery. Does that make sense?

3 A. It makes sense.

4 Q. So would you be the witness that would be  
5 available to discuss some of those -- the  
6 reasonableness of some of those expenses?

7 A. I can certainly try if you would like to.

8 Q. Well, I --

9 A. Well -- go ahead.

10 Q. No. No. Let's break -- if it's okay with  
11 you, instead of -- you know, I'm trying to make sure  
12 it's you, but we can bring it up, we can talk about  
13 it, and if you can talk about it specifically, that  
14 would be great.

15 But I'm trying to understand having seen them  
16 why it's reasonable for customers to pay them, and I  
17 assume that getting down to the nitty-gritty, it  
18 would be you or Mr. Vaughan that could speak to  
19 that. Is that fair?

20 A. It is. And I don't know that -- that I'm  
21 going to get down into the nitty-gritty, as you say.  
22 But, you know, we would -- we would be more than  
23 happy to work on any post-hearing data request if  
24 that would help too.

25 Q. Well, no, I appreciate that. But these are

1 costs that you've proposed in your application for  
2 recovery, right?

3 A. Yes. They're -- it's my understanding  
4 they're costs that are normally included in the cost  
5 of service.

6 Q. Well, and that's -- that's what I wanted to  
7 ask about. So I'll share my screen here for some of  
8 them.

9 But some of them are business development  
10 costs. Please let me know when you can see my  
11 screen. And I will zoom in. I promise.

12 A. I can see it, but --

13 Q. Okay. So we'll go to -- maybe I zoomed in  
14 too much. Excuse me.

15 A. No. That's good.

16 Q. All right. So we'll go down here to --  
17 sorry. Just let me scroll here for a minute to the  
18 line we were talking about earlier so we can get our  
19 bearings.

20 Like the 232, Edison Electric Institute,  
21 \$88,361.34. Do you see that?

22 A. Yes, sir.

23 Q. Okay. So when we were talking about costs  
24 that were historically included in the company's  
25 cost of service, you mentioned earlier that



1 following the -- your -- following your reading of  
2 some of the intervenor testimony, you became aware  
3 that historically the Commission had denied a larger  
4 portion of, for instance, EEI dues than the company  
5 proposed in this case, right?

6 A. I remember reading that. Yes.

7 Q. Okay. And so when you say that these are the  
8 costs that were historically included in the  
9 company's cost of service, that may not necessarily  
10 be the case. Correct?

11 A. Honestly, it could be. And as I said, I --  
12 I'm not -- I wasn't included in -- or involved in  
13 the last rate case to know that history.

14 Q. Okay. But, like, for instance, advertising  
15 expense, is it your understanding that advertising  
16 expense is ordinarily a recoverable expense for a  
17 monopoly utility regulated by the Public Service  
18 Commission?

19 A. Well, if it -- if it has to do with safety,  
20 it would.

21 Q. Okay. And -- and what -- what is that --  
22 what is that assertion based on?

23 A. Assertion based on -- it's my understanding  
24 that safety-related messaging and advertising are  
25 recoverable in the cost of service and other types

1 of advertising are not.

2 Q. Perfect. And -- and so that would be your  
3 basis, then, for this particular advertising, that  
4 it's safety-based?

5 A. I honestly don't know what is included in  
6 this advertising line.

7 Q. Okay. And then down here for public opinion,  
8 do you see that -- that are Column G for these  
9 public opinion when described -- they're public  
10 opinion services completed by MSR group?

11 A. I do see it. And as I said, it -- it is my  
12 understanding that these were normal costs that were  
13 included in the cost of service.

14 Q. Okay. And then -- let's see down here.  
15 Additional advertising, more advertising in the  
16 Daily Independent Appalachian News.

17 Is it -- is it your testimony that this  
18 \$59,000 in advertising is all safety related?

19 A. What are those? Those are, like, Kentucky  
20 Press Services?

21 Q. Right. Your company billing Daily  
22 Independent Appalachian News. This entire section  
23 here is \$59,820.04.

24 A. Now, we had -- my team had gone through and  
25 eliminated all of the ones that we didn't feel -- I

1 keep getting -- I'm sorry. My team went through and  
2 did make the adjustment in this case for the  
3 advertising that we felt didn't -- didn't apply, and  
4 we took it out.

5 Q. Okay. But to the question I asked you about  
6 earlier about who was supporting the reasonableness  
7 of it, we -- could you understand that maybe the  
8 Commission never gets that distinction?

9 A. Well, I guess with respect to the -- the  
10 adjustment that we made in the case, whichever  
11 witness sponsored that -- if that was Witness Scott,  
12 then she was testifying as to the reasonableness for  
13 the ones that were still standing after we removed  
14 the ones that were not.

15 Q. Okay.

16 A. I've just got -- when it comes to the EEI  
17 stuff, I'm just not -- I'm not sure who would have  
18 that kind of, you know, specific knowledge of every  
19 advertising thing that they did and that was  
20 included in those -- that were included in -- in  
21 those line items.

22 Q. Okay. And -- and then -- I just want to go  
23 real quickly here.

24 So beyond the public opinion, then we have a  
25 number of things here, like between lines 225 and

1 229, there's the Kentucky Chamber of Commerce.  
2 There's a lot of stuff on here that's just AEP  
3 bills; intercompany billing. Southeastern Electric  
4 had changed.

5 And all of these are under the category of --  
6 excuse me, to get through them -- there's quite a  
7 few of them to get through, of miscellaneous general  
8 expenses. Do you see that?

9 A. I do.

10 Q. Okay. And so do you know who would have  
11 supported these as being reasonable to recover from  
12 customers?

13 A. We included what we felt was reasonable to  
14 recover from customers.

15 And what I mean by that, your Honor, is we  
16 went through a list and removed all the ones that we  
17 thought were not appropriate to recover. So what  
18 remains on the list is what we thought -- now, we  
19 can certainly do some more research on those and  
20 digging if that will help.

21 Q. No, I -- what I want to ask is in the company  
22 case in chief, where did they -- where did you-all  
23 explain where these -- how these costs are  
24 appropriate for recovery?

25 A. I don't know that we addressed that

1 specifically in any Q&A or -- or discovery response.  
2 I don't remember if we did.

3 Q. Well, I -- and maybe it's unfair for me to  
4 ask you on the stand to point to a multi thousand --  
5 10, 15, 20 or however many thousand pages it is, but  
6 if the Commission asked -- if we asked staff in a  
7 post-hearing discovery response where in the record  
8 the company, you know, put forth the argument as to  
9 why the company expenses are reasonable or why these  
10 are appropriate and the other ones are not, could  
11 the company point us to those if it's in the record?

12 A. We can certainly look and see where it might  
13 be in the record. Yes.

14 Q. I appreciate that. And with the 24 percent  
15 and 13 percent that were discussed earlier in  
16 regards to the EEI dues, do you understand that --  
17 is it your understanding that those are amounts or  
18 percentages required under IRS rules for  
19 deductibility purposes?

20 A. I honestly don't know, your Honor. I'm  
21 sorry.

22 Q. You don't remember reading that on the EEI  
23 invoice where it specifically said "this is for tax  
24 purposes"?

25 A. I don't really remember reading that.

1 Q. That's fine.

2 So why is the company proposing the first  
3 year offset, using the excess -- the accelerated  
4 amortization of the unprotected excess ADITs?

5 A. Primarily, we're offering that as a  
6 mitigation effort for customers to absorb that  
7 first-year increase, allowing more time for, you  
8 know, the economy to come back, and the effects of  
9 the pandemic to -- to die down.

10 It was a reasonable mitigation effort. It was  
11 one that we thought would be meaningful to customers  
12 and would help, honestly.

13 Q. So do you think that -- I just want to make  
14 sure I understand -- the proposal to offset a  
15 portion of the second year, then, is unreasonable?

16 A. Well, I had mentioned in my rebuttal  
17 testimony, and Witness Messner had talked about the  
18 extra pressure that the time length would put on --  
19 on the company's credit metrics. I guess, you know,  
20 in general, if it's a shorter period of time,  
21 there's less of an effect.

22 And that's why we were -- we were pretty  
23 comfortable staying with the one year and willing to  
24 -- to take a little ping for that. We know that it  
25 may result in, you know, a little additional hurt on

1 financial metrics for the company, but it -- I think  
2 it's the right thing to do for customers.

3 Q. Okay. And by the right thing, you just mean  
4 the first year offset. You don't agree that  
5 offsetting the second -- a portion of the second  
6 year is the right thing to do?

7 A. Well, just, it -- I guess it's a level of  
8 tolerance, you know? Like I said, we're willing to  
9 do as much as we possibly can for our customers, and  
10 -- and they're the reason that we're in business,  
11 and we felt pretty comfortable at one year, just not  
12 any further than that.

13 Q. Well, and the willingness -- I do have a  
14 question on that, as it relates to the capacity  
15 charge.

16 Do you remember me asking Mr. Mattison about  
17 the company's proposal as it relates to the capacity  
18 charge?

19 A. I do.

20 Q. Okay. And -- and do you know --  
21 Mr. Mattison's testimony is that the company is only  
22 willing to forego the capacity charge for the next I  
23 guess two years if the company's application as  
24 filed is accepted in total by the Public Service  
25 Commission.

1 Do you remember that?

2 A. I do. I remember.

3 Q. Okay. And is that -- does that continue  
4 through -- through this hearing, continue to be the  
5 company's position?

6 A. Let me -- let me ask you a clarifying  
7 question.

8 There were some other adjustments, I think,  
9 and -- where you may be referring to something in --  
10 in our rebuttal testimony where Mr. Vaughan had made  
11 a couple of changes --

12 Q. Well, there's two questions.

13 A. -- is that the context of it?

14 Q. One -- two separate questions, then, based on  
15 that.

16 The first one is: Is it the company's  
17 proposal that -- that it's only going to offer this  
18 up if the Commission approves the application as  
19 filed, or is -- because that's what Mr. Mattison's  
20 testimony says, as filed. I think the rebuttal even  
21 says "as filed".

22 Or is it the company's proposal that they  
23 will only give it up if the Commission approves  
24 everything the company asked for as amended?

25 A. I understand the question, and I remember



1 Mr. Mattison saying "as filed."

2 I do believe that -- that we would have to  
3 take those amendments into consideration, though.

4 Q. Okay. So -- so you're saying that -- that  
5 due to the company's amendments in this case, the  
6 company no longer necessarily takes a position as it  
7 relates to the capacity charge?

8 A. No. I didn't say that. I said I think that  
9 we would have to take the amendments into  
10 consideration.

11 Q. Okay. Let me ask, then: Based on knowing  
12 that you-all made amendments, right, what is the  
13 company's position?

14 A. I think the company's position would be that  
15 instead of the "as filed" I believe was the way you  
16 asked it, the as filed or as amendment -- which one  
17 are you saying, that we would still be -- that the  
18 capacity charge would still be conditional on the  
19 "as amended" is the way...

20 Q. And that's a -- that's a 10 percent ROE, the  
21 grid modernization rider, a CPCN for AMI, the  
22 10.-something million dollar excess -- accelerated  
23 amortization for the bills as of some point in June,  
24 the increase in the customer charge, and then the  
25 net metering tariffs as -- as filed -- oh, and

1 avoided a cost rate as amended in Mr. Vaughan's  
2 rebuttal testimony.

3 Is that -- is that the company's proposal?

4 A. That sounds like a fairly comprehensive list.  
5 Yes.

6 Q. Okay. I was curious about -- do you remember  
7 the questions that Mr. Spenard was asking you  
8 earlier regarding the first-year offset?

9 A. Yes. Generally.

10 Q. Okay. But something you may be getting to --  
11 and I'll try to ask this more directly. The purpose  
12 of the offset is to make customers as a whole  
13 indifferent to the increase, right?

14 A. That's right. It's to absorb that first-year  
15 increase.

16 Q. But because of the proposed change --  
17 proposed change in the rate design, it may not hold  
18 each individual customer harmless. Is that fair?

19 A. It's possible. I think Mr. Vaughan needs to  
20 address that specifically with you.

21 Q. Okay. Just a couple more that people have  
22 pushed off to you, Mr. West.

23 A. Sure.

24 Q. Most of these say "Vaughan" beside them.

25 So I just want to make sure still -- the

1 Illinois and Michigan sales still -- those questions  
2 should still go to Mr. Vaughan?

3 A. Yes, sir.

4 Q. Okay. We talked about the late fees. Are  
5 you in charge of the company's FRR plan as it  
6 relates to -- as it relates to Kentucky Power?

7 A. I am not. Again, Witness Vaughan would know  
8 the most about the FRR plan.

9 Q. Okay. And as it relates to the IRP, though,  
10 are you-all planning your resources in the IRP for  
11 purposes of meeting your FRR plan or to serve your  
12 native load?

13 A. I think that Kentucky Power's IRP focuses on  
14 planning for its native load.

15 Q. Okay. So the wind -- forget the wind.

16 The solar, for instance, right, solar  
17 occurs -- solar as a generalization -- Mr. Horton  
18 and I were talking about this as a generalization.  
19 Solar is better in the summer and better when it's  
20 sunny outside, right, as a general matter?

21 A. I remember those -- yeah. I remember those  
22 questions, yes.

23 Q. Okay. And when Kentucky Power peaks, it's  
24 ordinarily in the winter, correct?

25 A. Yes. It's normally in the winter like in the

1 early morning.

2 Q. Early morning right after dark?

3 A. Yeah. Probably. Probably. We have a lot of  
4 electric heating customers.

5 Q. Okay. So as it relates to meeting Kentucky  
6 Power's peak demands, solar power would have little  
7 ability to -- to contribute, correct?

8 A. That's my understanding, yes.

9 Q. Okay. But Kentucky Power -- but PJM, do you  
10 understand PJM to be generally a summer peaking  
11 utility or a summer peaking RTO?

12 A. Generally, yes.

13 Q. Okay. And so for the FRR -- do you remember  
14 me and Mr. Horton talking about how the FRR plan is  
15 required to be planned for -- to meet PJM's peak?

16 A. I remember that discussion, but I'm afraid I  
17 can't offer a whole lot here, your Honor.

18 Q. Can --

19 A. Go ahead.

20 Q. We have an IRP hearing fairly soon --

21 A. We do.

22 Q. -- so I was hoping with 20 witnesses or 21  
23 with Mr. Carlin, that we would be able to find  
24 somebody who worked on the FRR plan in this hearing.

25 But at some point if you could make someone

1 available who was in charge of the FRR plan, I would  
2 appreciate that.

3 A. We will. And like I said, Mr. Vaughan has  
4 the knowledge on the FRR plan.

5 Q. Okay.

6 A. Yes.

7 Q. And then -- and then I think the very last  
8 set of questions for you, Mr. West.

9 Do you remember me talking to Ms. Whitney  
10 about the amortization of the capacity -- withdraw  
11 that -- the amortization of the UPA deferrals?

12 A. Yeah.

13 Q. Okay.

14 A. I believe so, yes.

15 Q. And we talked about the -- Ms. Whitney  
16 referred to the final -- it's not the final order,  
17 but the January 18th order in case number 17-179 in  
18 that regard?

19 A. Yes.

20 Q. Okay. And Ms. Whitney, do you remember her  
21 testimony -- and I don't want to bring it up if I  
22 don't have to. I want to save some time.

23 A. Okay.

24 Q. But that it said something about \$59 million  
25 and then referred to a five-year amortization and

1 then a \$12 million -- annual \$12 million cost. Do  
2 you remember that?

3 A. I remember that. Yeah.

4 Q. And would you agree, just to try to move this  
5 quickly, that if -- if the company does what the  
6 final order in the 2017 rate case allows it to,  
7 which is to incur a carrying charge until the  
8 complete amortization of that deferral, that the  
9 ultimate amortization payments in that five-year  
10 proposal will be more than \$12 million?

11 A. That is correct. It would be.

12 Q. And so that \$12 million may have just been an  
13 oversimplification in her testimony, that's  
14 perfectly fine.

15 But what I want to make sure that I  
16 understand is the company is proposing to continue  
17 to incur carrying charges or defer carrying charges,  
18 whatever it may be -- but incur carrying charges  
19 through that proposal on that entire five-year  
20 amortization?

21 A. Yes.

22 Q. That's the company's proposal?

23 A. I believe it was that way approved in the  
24 order, and that would be the company's proposal --

25 Q. Yeah. And I just want to make sure that the

1 company in this case is proposing the five-year  
2 amortization, correct?

3 A. We are. Yes.

4 Q. And I just want to make sure I understand the  
5 company's proposal in that regard.

6 So I thank you very much, Mr. West.

7 A. Okay. Thank you.

8 COMMISSIONER SCHMITT: Dr. Matthews,  
9 questions?

10 COMMISSIONER MATTHEWS: I don't think there  
11 are any questions left that can be asked -- that can  
12 be asked of him, so no.

13 COMMISSIONER SCHMITT: Mr. Overstreet,  
14 redirect?

15 MR. OVERSTREET: Thank you, Mr. Chairman, but  
16 before I do so, could I ask a clarification of the  
17 Vice Chairman concerning his request concerning an  
18 FRR witness?

19 COMMISSIONER SCHMITT: Yes. Go ahead.

20 MR. OVERSTREET: Okay. Thank you.

21 Mr. Vice Chairman, you indicated you were --  
22 you would like a witness who could testify  
23 concerning the company's FRR plan. I understood  
24 that to be in the December 10 IRP hearing.  
25 Is that understanding correct?

1 VICE CHAIRMAN CHANDLER: Yeah. Thank you,  
2 Mr. Overstreet. At the least.

3 I was actually hoping somebody in this case  
4 would be able to, and that's okay if they can't. It  
5 just would have been handy for a couple of the  
6 questions I had on some of the company's proposals  
7 as it relates to -- to the net metering.

8 MR. OVERSTREET: Well, Mr. Vaughan has agreed  
9 to attempt to answer your questions today.

10 VICE CHAIRMAN CHANDLER: I very much  
11 appreciate that. Thank you, Mr. Overstreet.

12 MR. OVERSTREET: Thank you.

13 COMMISSIONER SCHMITT: Mr. Overstreet?

14 MR. OVERSTREET: Mr. West --

15 COMMISSIONER SCHMITT: Mr. Overstreet?  
16 Mr. Overstreet? Let me ask a question first.

17 MR. OVERSTREET: Yes, your Honor.

18 COMMISSIONER SCHMITT: At about 20 until  
19 3:00, we're going to have a take a recess real quick  
20 because the Commissioners have to attend to some  
21 other business with another state agency, so we will  
22 have to take a recess.

23 And I'm just wondering if you anticipate your  
24 redirect examination will take more than five  
25 minutes or so? We probably ought to just hold it



1 until we can recess and come back.

2 MR. OVERSTREET: Your Honor, I think if we  
3 took the time, we could -- we could reduce the  
4 amount of time it -- with further redirect. So may  
5 I perhaps recess right now?

6 COMMISSIONER SCHMITT: Yeah. Let's just go  
7 into recess. We hope to be back by -- by 3:00. And  
8 if we get through sooner, maybe we'll -- we'll try.  
9 But let's just go into recess until -- until 3:00  
10 p.m.

11 MR. OVERSTREET: Thank you, your Honor.

12 (A DISCUSSION WAS HELD OFF THE RECORD.)

13 COMMISSIONER SCHMITT: I think we're now back  
14 on the record. Mr. Overstreet, do you have redirect  
15 examination for Mr. West?

16 MR. OVERSTREET: Yes, I do, your Honor. And  
17 thank you for the opportunity to whittle it down. I  
18 think I have very narrow topics.

19 REDIRECT EXAMINATION

20 By Mr. Overstreet:

21 Q. So, Mr. West, you were asked several  
22 questions by the Vice Chairman concerning  
23 late-payment fees. Do you remember those?

24 A. I do.

25 Q. And during the break, did you have the

1 opportunity to review the company's filings in this  
2 case relating to late -- excuse me -- late-payment  
3 fees?

4 A. Yes. I did.

5 Q. And could you direct the parties and the  
6 Commission and the staff to the particular filing  
7 that details those late-payment fees?

8 A. I can. This was in the staff's sixth set of  
9 data requests. It was item number 9. And this is  
10 attachment one.

11 Q. And for the test year, what was the amount of  
12 the late-payment fees collected by Kentucky Power  
13 Company?

14 A. The late-payment fees collected during the  
15 test year were \$4,066,116.73.

16 Q. And if the late-payment fees were eliminated,  
17 what effect would that have on the company's revenue  
18 requirement?

19 A. The revenue requirement would have to be  
20 increased by like amount.

21 Q. Okay. Thank you.

22 And you also discussed the -- at least in  
23 part, the company's advertising expenses included in  
24 its test year; is that correct?

25 A. Yes.

1 Q. And is that addressed in any company witness'  
2 testimony?

3 A. Yes, sir. During the break, it -- we were  
4 able to locate that in Ms. Scott's testimony, and  
5 that would be her direct testimony at page 10, work  
6 paper 19.

7 Q. And in rough figures, what percentage of the  
8 advertising expenses were eliminated as a result of  
9 the procedure described by Ms. Scott?

10 A. I believe it was roughly 50 percent.

11 MR. OVERSTREET: Your Honor, I have no  
12 further questions.

13 COMMISSIONER SCHMITT: Let me -- let me just  
14 ask one question. I just happened to pick up a  
15 minute ago -- been here for a few days -- the Martin  
16 County newspaper, The Mountain Citizen.

17 Anyway, the headline is "Community center  
18 faced with \$51,350 electric bill," and here's what  
19 it says: "The Roy F. Collier Community Center  
20 continues to struggle just to keep the lights on.  
21 The biggest bill the center is facing is for  
22 electricity as the Kentucky Public Service  
23 Commission did not approve a bill reduction of  
24 \$38,000 per the request of Kentucky Power."

25 What's all that about? Is that the other case

1 you filed asking us to -- I don't know. Do you  
2 know?

3 THE WITNESS: Mr. Chairman, I -- that's  
4 probably a reference to our debt forgiveness filing  
5 that we made on May 29th this year.

6 COMMISSIONER SCHMITT: Yeah. I thought  
7 perhaps that's what it was. Well, I suppose -- I  
8 guess they -- the newspaper must have contacted  
9 Kentucky Power who told them that the reason they  
10 had -- the bill was so high was because we didn't  
11 agree to their -- I guess the way -- the way you  
12 wanted the -- the ADIT money, unprotected money  
13 redistributed.

14 But anyway, that's -- I just -- whatever  
15 comment. I have nothing further.

16 MR. OVERSTREET: Thank you, Mr. Chairman.  
17 May Mr. West be excused subject to recall?

18 COMMISSIONER SCHMITT: Yes. Yeah. Mr. West,  
19 you may be excused, and we can -- everybody -- the  
20 most anticipated witness at any and all Kentucky  
21 Power hearings is Mr. Vaughan because he's always  
22 the person who everybody relies upon to have the  
23 answers that -- that are so elusive. Okay.

24 Ms. Blend, is this Mr. Vaughan?

25 MS. BLEND: It is, your Honor.

1           COMMISSIONER SCHMITT: Mr. Vaughan, I want to  
2 say before I swear you in, I've just said that  
3 you're the most anticipated witness in any Kentucky  
4 Power case.

5           Over all the years that -- the three years, I  
6 guess, that I was here with Vice Chairman Cicero at  
7 the time, you were the only -- you received more  
8 credit and praise from him than anybody that I think  
9 has ever testified during the time he was here  
10 because of your -- of your knowledge.

11           And you probably remember all of the good  
12 things he said about you.

13           THE WITNESS: Yes, your Honor. I actually  
14 attached them to my annual review.

15           COMMISSIONER SCHMITT: In fact, I think he  
16 didn't understand why you weren't president of the  
17 company. In any event, please raise your right  
18 hand.

19           Do you solemnly swear or affirm under penalty  
20 of perjury the testimony you're about to give will  
21 be the truth, the whole truth, and nothing but the  
22 truth?

23           THE WITNESS: I do.

24           COMMISSIONER SCHMITT: Counsel, you may ask.

25           MS. BLEND: Thank you, your Honor.

1           ALEX A. VAUGHAN, having been first duly  
2 sworn, testified as follows:

3                           DIRECT EXAMINATION

4 By Ms. Blend:

5 Q.       Good afternoon, Mr. Vaughan. Will you please  
6 state your name and business address for the record?

7 A.       Alex Vaughan, 1 Riverside Plaza, Columbus,  
8 Ohio, 43215.

9 Q.       Thank you. By whom are you employed and what  
10 position?

11 A.       American Electric Power Service Corporation.  
12 I am the director of regulated pricing and  
13 renewables.

14 Q.       Thank you. And did you cause to be filed in  
15 this case testimony, direct testimony, and rebuttal  
16 requests?

17 A.       I did.

18 Q.       Do you have any corrections?

19 A.       I do in my rebuttal testimony, the very last  
20 section.

21 Q.       Page 43 of your rebuttal testimony?

22 A.       That sound right. There's quite a few of  
23 them. Yes. It's the Q&A beginning at line 9. In  
24 the answer in line 14, after "FERC order 872," we  
25 need to insert "subject to FERC approval," and then

1 after "company" we should insert "will," and then  
2 change "has" to "have."

3 And then on line 16, after "company," "is"  
4 should be changed to "will be." And then the entire  
5 sentence beginning on line 13 should read: "Most  
6 notable for the company's co-gen FTP tariffs is that  
7 under FERC order 872, subject to FERC approval, the  
8 company will no longer have a purchase obligation on  
9 FERPA qualifying facilities, QFs, up to 20  
10 megawatts. The new QF project purchase obligation  
11 for the company will be 5 megawatt and less because  
12 it is a member of an RTO."

13 Q. Thank you. Subject to those changes, if you  
14 were asked the same questions here today would your  
15 answers to your direct testimony, rebuttal  
16 testimony, and data requests be the same?

17 A. Yes, they would.

18 Q. Thank you. And did you -- are you also  
19 sponsoring Company Hearing Exhibit Number 1?

20 A. I am.

21 MS. BLEND: At this time, your Honor, could  
22 staff please project Company Hearing Exhibit Number  
23 1?

24 MS. VINSEL: Travis, did you get that?  
25 Company Hearing Exhibit Number 1.

1           VICE CHAIRMAN CHANDLER: Ms. Blend, can I  
2 ask, while staff is bringing that up, given the --  
3 it negates a couple of my questions, but given the  
4 significant change in regards to Mr. Vaughan's  
5 rebuttal testimony on order 872, will the company  
6 please file a copy of that amended rebuttal  
7 testimony in the record?

8           MS. BLEND: We would be happy to, your Honor.

9           VICE CHAIRMAN CHANDLER: Thank you.

10          MS. BLEND: Would you -- just to clarify,  
11 would you prefer that we file a corrected revision  
12 of Mr. Vaughan's rebuttal testimony in its entirety  
13 or would you prefer that we provide a redline on  
14 page 43 of his rebuttal testimony, or does it  
15 matter?

16          VICE CHAIRMAN CHANDLER: I'm indifferent.

17          MS. BLEND: Okay.

18          VICE CHAIRMAN CHANDLER: As long as the  
19 corrections are reflected in the written portion of  
20 the document, I would appreciate it.

21          MS. BLEND: Absolutely. Thank you.

22 BY MS. BLEND:

23 Q. Mr. Vaughan, you have before you the document  
24 that has been identified as Company Hearing Exhibit  
25 Number 1, which you just testified you're



1 sponsoring?

2 A. Yes. I do.

3 Q. Can you please describe this document?

4 A. Yes. So what this is a -- a modified version  
5 of what would be section 5, the summary, page 2, in  
6 the filing documents, the filing requirements in  
7 this case.

8 And basically, it is a summary of the revenue  
9 -- overall revenue requirement and the various  
10 pieces of it, and there are two revisions to that  
11 that came up in discovery that we wanted to -- to  
12 amend here in this hearing exhibit.

13 The first of which if you're looking at the  
14 line numbers on this would be R1, and in response to  
15 staff 6-18, there was an allocation direct  
16 assignment issue with a purchase power account. It  
17 should have been direct assigned to Kentucky  
18 retail, and it was allocated. So that change would  
19 reduce the requirement by that 211,279.

20 And then the next one is in response to a  
21 revision to staff 4-65 on storm normalization, the  
22 company found a revision was needed there, so  
23 that -- in that adjustment W15. So that would  
24 reduce the revenue requirement by \$97,437, taking  
25 that into account.



1 through Rockport UPA, which is recovered through  
2 tariff PPA so there are no expenses in rate base  
3 that the company will cease enduring when the UPA  
4 terminates. Do you recall that?

5 A. That's correct.

6 Q. Okay. Thank you.

7 MS. VINSEL: Travis, can I have you bring up  
8 -- it is -- I've got it written down so many  
9 times -- excuse me. What I'm going to look for is  
10 the application section V, Exhibit 2. Let me get  
11 you that number. Travis, it's document number 12.  
12 Can I have you scroll down to the list of  
13 adjustments? Can you first go to adjustment 47?  
14 And there's an embedded link there in that index.  
15 Thank you.

16 BY MS. VINSEL:

17 Q. And, Mr. Vaughan, this is an adjustment, W47,  
18 that -- excuse me, that you sponsored, correct?

19 A. That's correct.

20 Q. Okay. And this is adjusting the purchase  
21 power expense to -- excuse me, I'm sorry -- to rate  
22 base?

23 A. No. It --

24 Q. No?

25 A. It's adjusting purchase power expense in base

1 rates. There are no rate base or capitalized  
2 amounts in -- the company's request for Rockport  
3 UPA, in the company's base case here or the revenue  
4 requirement because the UPA is billed to the company  
5 by purchase power expense. It's all in 555.

6 I guess I'm not making the distinction between  
7 rate base, which is assets, and base rates, which  
8 are the company's base rates.

9 Q. I'm sorry. I should have said base rates.

10 Staff is -- staff is wondering why this  
11 adjustment was necessary if it increases the  
12 purchase power expense for changes to the Rockport  
13 UPA bills, but why it would be necessary if the  
14 Rockport UPA flows through the PPA as opposed to  
15 base rates?

16 A. It's still in -- it's still in base rates  
17 until UPA goes away. I guess that discovery request  
18 asked about when the UPA terminates, and after that  
19 there's no more base rate cost of service items for  
20 Rockport because in the last rate case, the approved  
21 stipulation in that case by the Commission has  
22 already dealt with kind of the end of UPA costs.

23 When those go away, they flow through -- the  
24 fixed cost savings flow through the rider PPA. And  
25 then we begin to collect the Rockport deferral with

1 the carrying charge through the PPA.

2 So right now, until the UPA terminates, there  
3 are base rate costs of Rockport that all shifts to  
4 the PPA. In some portion the environmental  
5 surcharges will be reduced when the UPA terminates.

6 Q. Okay. I think I'm following you, but if you  
7 don't mind, I want to double-check.

8 There's essentially a difference between when  
9 the Rockport UPA terminates and when those expenses  
10 go away, correct?

11 A. There's -- we have deferred expenses from  
12 Rockport, so those obviously don't go away. But the  
13 billings from AEG company will stop when the  
14 Rockport utility terminates in December 2022.

15 And the adjustment, W47 that we reference  
16 here, I addressed the need for that in my direct  
17 testimony on page 48 starting at line 9, and that --  
18 that's because of the operating ratio in the billing  
19 calculation.

20 The unit 2 SCR was not in service during the  
21 test year, so there was a large amount of plant in  
22 CWIP, which lowered the amount of return billed to  
23 Kentucky Power Company through the UPA. That has  
24 since gone into service increasing the operating  
25 ratio and the billing calculation and increasing the

1 amounts billed to Kentucky Power through the UPA.

2 And that is why we needed adjustment W47 to  
3 increase base rate purchase power demand costs.

4 Q. And adjustment -- and W53, which I know is  
5 sponsored by Ms. Whitney, is that a similar  
6 circumstance?

7 MS. VINSEL: Travis, can I have you scroll  
8 down to W53?

9 THE WITNESS: No. I -- again, this was  
10 sponsored by Company Witness Whitney, but my  
11 recollection here is that there was a -- a one-time  
12 bill credit in the test year that Company Witness  
13 Whitney removed through this adjustment.

14 BY MS. VINSEL:

15 Q. And I know in Ms. Whitney's direct testimony,  
16 I'll just say it's on page 30, lines 12 through 16,  
17 she references that this adjustment also increases  
18 purchase power expense.

19 A. That's right. Because again, the -- some  
20 portion of Rockport demand-- right now you have  
21 Rockport demand costs -- excuse me, Rockport UPA  
22 costs being billed to the company. The  
23 environmental amounts are collected through the  
24 environmental surcharge.

25 The rest of the costs are collected through

1 purchase power expense. The demand portion of that  
2 is in base rates, and you also have the deferral  
3 kind of overlaid over top of that from the last rate  
4 case order, and so the amount that isn't deferred or  
5 collected through the environmental surcharge is  
6 recovered in the company's base rates until the UPA  
7 ends.

8 Q. Okay. I may have a follow-up on that. I'm  
9 getting a question out to somebody, so I may have to  
10 circle back to that.

11 Speaking of Rockport unit 2, SCR, and SCRs  
12 selective catalytic reduction, when you talked about  
13 going back to adjustment W47 --

14 MS. VINSEL: And, Travis, you can take that  
15 off of the screen. Thank you. I'm sorry. I'm  
16 getting some directions off screen. We have a  
17 couple callers that we need to make sure are muted.

18 For those that are calling in on their phones,  
19 please make sure your phones are muted. We're  
20 getting feedback from that.

21 BY MS. VINSEL:

22 Q. Okay. I'm going to start over again,  
23 Mr. Vaughan.

24 Going back to adjustment W47, also in a data  
25 response, in that sixth data response from

1 Commission staff, item 12, you said that adjustment  
2 W47 does not include the recovery of Rockport unit 2  
3 SCR, and that the operating ratio essentially  
4 removes construction work in progress, which is also  
5 known as CWIP, from rate base calculation.

6 All of that is to get to my question. And do  
7 you have it in front of you now?

8 A. I do.

9 Q. Okay. My question is: If the CWIP balance  
10 was largely an environmental project that is  
11 recovered separately through Kentucky Power's  
12 environmental surcharge, why would there be a change  
13 in the operating ratio that would affect the base  
14 rate amount of purchase power expense related to  
15 Rockport RPA?

16 A. Yeah. I see where that's -- that can be  
17 confusing.

18 The UPA -- not to sound harsh, but the  
19 billing through, it doesn't care about how we  
20 collect costs in Kentucky. It functions based on  
21 the approved formula.

22 And so let's say the total plant's ten, and  
23 three of that is CWIP, so it is reducing the  
24 operating ratio, essentially, to 70 percent. So it  
25 then bills total plant and service. It only keeps



1 calculated return on 70 percent at that point.

2 So even though that's an environmental  
3 project, it is lowering the return billed to  
4 Kentucky Power while there's an environmental  
5 project in CWIP on all plant in service, whether  
6 it's environmental or not.

7 So what I say in this response to W47 doesn't  
8 include environmental plants. When we calculated  
9 the operation, we go back up to a more normal level,  
10 post SCR going into service. We took the  
11 environmental plant out of the amount of plant in  
12 service we were calculating that increase on.

13 So the adjustment's just accounting for the  
14 increase in return on non-environmental Rockport  
15 plant because of the operation of that operating  
16 ratio. That's redundant, but...

17 Q. I think I followed you. Again, I am going to  
18 see if I get any directions off stage from my  
19 co-workers.

20 I should explain, Mr. Vaughan, and you may  
21 have seen my explanation earlier, because it's a  
22 very small group allowed in the hearing room, many  
23 of my co-workers are texting me with any follow-up  
24 issues. So if I look down at my phone, I'm not --  
25 it's not that I'm not paying attention.

1           VICE CHAIRMAN CHANDLER: Ms. Vinsel, can I  
2 ask a clarifying question on that?

3           MS. VINSEL: Yes, please.

4           VICE CHAIRMAN CHANDLER: Mr. Vaughan, are you  
5 just saying that you're normalizing the  
6 non-environmental amounts of the operating ratio for  
7 calculation in this case by grouping the  
8 environmental portion of the plant?

9           THE WITNESS: No. So while the SCR was in  
10 CWIP, it reduced the operating ratio that applied to  
11 all plant in service at Rockport. So then the  
12 operating ratio goes back to normal -- more normal  
13 level after the if SCR went into service in June.  
14 And so for purposes of calculating this adjustment,  
15 we used the normal operating ratio compared to test  
16 year, and we calculated the increase on total  
17 return, but we excluded the environmental plant on  
18 that.

19           So we're trying to get to the increase on base  
20 rate purchase power demand cost, not what would be  
21 going in to the environmental surcharge. That is  
22 what W47 does.

23           VICE CHAIRMAN CHANDLER: Thanks.

24           MS. VINSEL: Thank you, Vice Chair.

25           BY MS. VINSEL:

1 Q. Just to give you a heads-up, Mr. Vaughan,  
2 we'll be asking a post-hearing data request to get  
3 some more support for the separating out. You'll  
4 see --

5 A. That's already been supplied.

6 Q. Okay. Can you tell me where?

7 A. It's in a staff set five request. I don't  
8 have the exact number off the top of my head, but we  
9 can get that request to you. But that work paper  
10 has already been supplied.

11 Q. Okay.

12 A. I, unfortunately, printed my data requests in  
13 too small of font because there was a lot of them.  
14 I'm having a little bit of trouble going through  
15 that right now.

16 Q. I understand how that happens. And I've  
17 actually got a summary. I'm going to see if I can  
18 just pull it up quickly, if I can.

19 MS. BLEND: Ms. Vinsel, we're doing the same  
20 thing here. We may be able to locate it in a  
21 moment.

22 MS. VINSEL: Okay. I just want to -- I don't  
23 want to take unnecessary time, but I want to make  
24 sure that our team -- that we don't ask unnecessary  
25 questions. I'm just going to rely on -- I think you

1 ought to look because I'm not seeing an obvious  
2 response.

3 THE WITNESS: We'll provide the reference,  
4 but, yeah.

5 BY MS. VINSEL:

6 Q. Oh, I've gotten a response from my co-worker,  
7 that the work paper for the adjustment doesn't tie  
8 this to the UPA expense.

9 So why don't -- why don't we -- we do this:  
10 Commission staff will draft a post-hearing data  
11 request, and if it refers to something that's  
12 already in the record, you can point that to us. Is  
13 that an acceptable compromise?

14 MS. BLEND: Sure. That would be fine. Thank  
15 you.

16 MS. VINSEL: Thank you.

17 BY MS. VINSEL:

18 Q. I've really just got one last question. And  
19 it really gets to that issue of whether the  
20 Attorney General KIUC's witnesses had discussed  
21 using rate base or capitalization for the return-on  
22 component of base rate revenue requirement.

23 And in your rebuttal testimony, Mr. Vaughan,  
24 you said -- I think this is a direct quote -- "when  
25 done correctly, the two methods should reach,

1 materially, the same result."

2 Can you expand upon that?

3 A. Certainly. So whether you're calculating  
4 rate base or what -- excuse me.

5 Whether you're calculating the basis for the  
6 return-on component and rates, I'll describe rate  
7 base as a -- you know, bottom-up kind of calculation  
8 where you have to add things in, or whether using  
9 capitalization as Kentucky Power has proposed in  
10 this case, at the end of the day, you should get to  
11 -- all of the electric utility assets that have been  
12 financed should be the number.

13 And so what I'm saying is if you do it  
14 correctly and you properly include all of the  
15 electric utility assets that are providing service  
16 and have been financed, you should get to the same  
17 number one way or the other to calculate the  
18 return-on components.

19 Q. So -- so I'm seeing if I -- I think we're  
20 okay here.

21 MS. VINSEL: I think staff does not have any  
22 further questions. Thank you, Mr. Vaughan.

23 THE WITNESS: Thank you.

24 COMMISSIONER SCHMITT: Mr. Cook, questions?

25 MR. WEST: It's actually Mr. West this time.

1 COMMISSIONER SCHMITT: Mr. West, questions?

2 MR. WEST: Yeah. Thank you.

3 CROSS-EXAMINATION

4 By Mr. West:

5 Q. How are you doing, Mr. Vaughan?

6 A. Doing well.

7 Q. I don't have too many questions for you.

8 Do you have a copy of your rebuttal testimony  
9 handy there?

10 A. I do.

11 Q. Okay. Can you turn to page 7?

12 A. Sorry, was that 7?

13 Q. Yes. 7. Starting at line 12. Specifically,  
14 I just want to talk a little bit about the Rockport  
15 UPA demand expenses that you were just discussing  
16 with Ms. Vinsel.

17 A. I'm there.

18 Q. Okay. Could you start at the question that's  
19 posed in line 12 and just read the question and the  
20 answer onto the next page at line 6?

21 A. You want me to read it?

22 Q. Yeah. And this is a question that's being  
23 posed to you, correct?

24 A. Yeah. Line 12: "Does the company agree with  
25 AG KIUC Witness Carlin's proposal regarding the

1 Rockport UPA base rate demand expense on page 33 of  
2 his direct examination?

3 "ANSWER: Yes. Due to the various current  
4 Commission issues in the company's service  
5 territory, the company agrees that this is a  
6 reasonable mitigation proposal in this case. The  
7 \$1,695,513 included an adjustment in W47 would be  
8 added to the existing Rockford referral regulatory  
9 asset in 2021, and \$1,554,220 (11/12th of the annual  
10 amount included in adjustment W47) would be added to  
11 the Rockport regulatory asset in 2022.

12 "The Rockport deferral regulatory asset  
13 including these additional amounts would accrue a  
14 carrying charge of the company's approved weighted  
15 average cost of capital until it is fully recovered  
16 consistent with the Commission approved settlement  
17 agreement in case number 2017-00179.

18 "As discussed in the direct testimony of  
19 Company Witness West, the company is requesting to  
20 amortize and recover the Rockford regulatory asset  
21 as of September 8, 2022 (when the Rockport UPA  
22 terminates) over five years through tariff PPA  
23 beginning in December of 2022 consistent with the  
24 approved settlement agreement filed in case until  
25 number 2017-00179."

1 Q. Thank you. So has the company's proposal  
2 been amended in any way to account for your  
3 agreement with this proposal from Mr. Carlin?

4 A. I guess what are you referring to?

5 Q. Well, you said that you agreed with this  
6 reasonable mitigation proposal.

7 Does that mean that you agree that this is  
8 how the Commission should rule on this issue?

9 A. Yes. That's exactly what my testimony is.

10 Q. Okay. Thank you. I just have a few general  
11 questions.

12 Given that the -- the pandemic that we're all  
13 going through right now has put many families and  
14 individuals in difficult financial circumstances,  
15 did the company give any consideration to keeping  
16 the monthly charge at \$14?

17 A. Again, you have to take everything -- you  
18 have to take all -- all the pieces of rates and all  
19 the proposal in this case in its totality, and going  
20 from \$14 to \$17.50 as we proposed, and I speak a lot  
21 to this in my direct and rebuttal testimony, is  
22 going to help reduce interclass subsidies at  
23 certain-- certain high users like our electric  
24 heating customers, and to a large extent, our home  
25 energy assistance low-income customers are paying



1 right now, so it will actually help in theory --  
2 well, it will help them.

3 You know, and again, we have the first-year  
4 mitigation that we've proposed in this case, so  
5 those actual rates may or may not change until --  
6 those rate components may not actually change for  
7 billing purposes until 2022. So yeah, I think we  
8 took everything into consideration when we made our  
9 proposal in this case.

10 Q. Okay. Thank you.

11 Would you agree that if the customer charge  
12 was increased and the energy charge decreased, all  
13 else being equal, customers who use more energy will  
14 benefit financially, at least beyond some break-even  
15 point?

16 A. In simple math terms, yes, but that's not the  
17 proposal in this case.

18 Q. Well, can you explain the proposal in this  
19 case as it relates to that?

20 A. Well, and under the company's proposed rates,  
21 the customer charge does go up by the \$3.50, but so  
22 does the kilowatt hour charge. So -- and even after  
23 that, the total bill is still 90 percent volumetric.  
24 So an increase in usage equals an increase in your  
25 bill, so there's still no -- there's no price signal

1 asking customers to just use as much energy as they  
2 can.

3 Q. Okay. Thank you.

4 Has the company obtained any data indicating  
5 how many of its customers are on fixed incomes?

6 A. Not to my knowledge, no. I don't have  
7 customer income data, you know, when I look at  
8 customer account information.

9 Q. Does someone else within the company look at  
10 that type of data or ask for that type of data?

11 A. I'm not aware that we have customers'  
12 personal information like that and that that's being  
13 studied. I mean, maybe on some high level based on,  
14 you know, regional economics or something like that,  
15 but not from a customer-to-customer standpoint, no.

16 Q. Okay. So in a similar vein, do you know how  
17 many of the company's customers are 65 or older and  
18 rely on Social Security as their primary source of  
19 income?

20 A. No, I don't. I know general demographics  
21 related to billing. You know, I know that over half  
22 my customers are electric heating in nature. I know  
23 that, you know, a lot of our -- the low-income  
24 customers that I can identify through whether they  
25 have heating assistance or some sort of federal

1 assistance, a lot of them are also electric heating.

2 That's generally the kind of demographics I  
3 have from a customer account standpoint.

4 Q. Okay. Thank you.

5 In general, the cost of-of-service study  
6 doesn't take into account whether a customer is on a  
7 fixed income or generally can't afford service to be  
8 provided, does it?

9 A. No. The cost of -- the cost of service study  
10 is accounting and financial in nature coming up to  
11 what the proper requested revenue requirement should  
12 be. When we're talking about affordability, the  
13 other proposals in this case speak to that, you  
14 know, the things that Company President Mattison and  
15 Mr. West and others have discussed at length this  
16 week.

17 Q. I understand. Thank you.

18 Do you know whether the company  
19 representatives or anyone in particular with the  
20 company reads the public comments that have been  
21 filed in this PSC case or generally read the  
22 comments that's filed in a case that's filed with  
23 the Commission on behalf of the company?

24 A. Yes. I have myself have read a great many of  
25 them. I sat next to Mr. West last Friday as we

1 watched the public hearing. I know Mr. Mattison's  
2 reviewed them. Yeah. We -- we read them.

3 Q. Okay. So you're aware that a fair number of  
4 the comments that have been submitted express  
5 serious concern about the affordability of service,  
6 correct?

7 A. Yeah. That's definitely the case. A lot of  
8 them -- you know, the theme had been anti-bill  
9 increase and anti-net metering.

10 You know, and one -- one piece of context I  
11 would like to get out there from an affordability  
12 standpoint, the company's average residential bill  
13 has gone down over the last four years.

14 When we -- if you look at the company's filing  
15 in 2017-00179, the current bill then I believe was  
16 for customers using 1240 kilowatt hours, which is  
17 our statistical average customer in this test year,  
18 was \$162 on average.

19 Right now, if you look at the filing schedules  
20 here, that's \$142. If the company were to receive  
21 its entire rate increase that it's asked for, we  
22 would get back to \$166, so -- and that would not hit  
23 customers until 2022.

24 So you would have basically a five-year period  
25 where the company's average bill to the average

1 residential customers has not gone up.

2 Q. I appreciate that information, and I don't  
3 think I have any more questions. Thank you, sir.

4 COMMISSIONER SCHMITT: Mr. Kurtz, questions?

5 CROSS-EXAMINATION

6 By Mr. Kurtz:

7 Q. Good afternoon, Mr. Vaughan.

8 A. Good afternoon.

9 Q. That's the first I heard the statistics about  
10 the average residential bill. I assume a lot of  
11 that is the reduction in fuel costs, the AC  
12 automatic flow-through?

13 A. That's right. You had tax reform that  
14 lowered -- lowered rates, essentially caused a zero  
15 rate increase in the last base rate case, and you've  
16 had reduction in fuel costs over time.

17 And then there was also a reduction in PPA  
18 rates for a little over a year there while we were  
19 receiving FERC settlement credits that were flowing  
20 back to customers. I think there was a \$5 million  
21 credit competitive rate embedded in that as well.

22 Q. Let's talk about taxes a little bit. The  
23 Chairman mentioned that.

24 In December of 2017, the President signed  
25 into law the Tax Cut and Jobs Act, which would

1 reduce the federal corporate income tax rate from 35  
2 percent to 25 percent, correct?

3 A. That's correct.

4 Q. I think it was December 21 or 22. That very  
5 same day KIUC filed a complaint against all the  
6 investor-own utilities in Kentucky asking for the  
7 rates to be adjusted downward because of the  
8 reduction in federal income tax. Do you recall  
9 that?

10 A. I do remember that, yes. You and every other  
11 intervenor in every state that we have service in.

12 Q. We were absolutely first. We had schedules  
13 and reductions and we presented to this Commission  
14 -- which we would have done it anyway, but we  
15 presented to this Commission first and foremost in  
16 the country the Tax Reform Act. We were ready to  
17 go.

18 A. You were on it. Yes.

19 Q. Okay. Well, it's true.

20 In January -- on January 18, the Commission  
21 used tax expense savings in a way that essentially  
22 reduced the base rate case that was going into  
23 effect at that time, correct?

24 A. Yes. The federal tax rate of -- the 3521  
25 change was incorporated in the company's base rate

1 increase from the 2017-00179 case, and then through  
2 your -- the complaint case you were discussing, we  
3 addressed the excess unprotected and excess  
4 protected ADFIT.

5 Q. I think we fooled around on the rehearing in  
6 the rate case to get rate number for the tax  
7 savings, and that's that -- I forget how it turned  
8 out. Right?

9 A. Yeah. I agree with that. Yeah.

10 Q. Okay. But back to the protected excess ADIT,  
11 in other words, customers have -- you collected from  
12 customers rates based upon the assumption of  
13 straight line depreciation that you would pay the  
14 federal government 35 percent. But in reality you  
15 were going to pay them 21 percent.

16 And so the ADIT balance was excess. Hence  
17 you -- all the utilities, you owed customers money  
18 for the pre-collection of taxes that would no longer  
19 be paid to the federal government, correct?

20 A. Yes. The book -- book tax difference leads  
21 to the ADFIT, agreed.

22 Q. Rates based on straight line depreciation  
23 assumptions, but in reality the utility used --  
24 accelerated depreciation -- post depreciation?

25 A. Certain things for tax purposes, yeah.

1 Q. And over time if the tax rate stays the same  
2 -- and the prepayment of taxes, the ADIT is a rate  
3 base offset so customers get a tariff charged  
4 prepayment, correct?

5 A. I think it's fair to characterize it that  
6 way, yes. It's a rate base credit or cost-free  
7 financing, yes.

8 Q. So it all works out that when the tax rate  
9 changes, and it may change again in the other  
10 direction, who knows -- but that was the -- when tax  
11 rates stay the same, it all works out, and it's  
12 fine.

13 So we don't with -- the protected is  
14 amortized by the IRS rules under what's ARAM  
15 methodology, correct?

16 A. That's right, for the protected.

17 Q. Okay. The unprotected, the Commission has  
18 discretion, and every Commission has discretion to  
19 choose the amortization period that they think is  
20 reasonable, correct?

21 A. Yes. That's my understanding, and we saw a  
22 lot of different applications of that in different  
23 jurisdictions.

24 Q. I want to ask you about that, but with  
25 respect to Kentucky Power, we call it the retirement



1 of Big Sandy Two, the unprotected excess ADIT  
2 balance was very large relative to Kentucky Power's  
3 capitalization. Is that your recollection?

4 A. Yeah. I think that's -- I think that's  
5 correct. There was a lot of ADFIT on that rig  
6 asset, and just in general. Yes.

7 Q. Okay. And so the government -- which the  
8 Commission approves is an 18-year amortization of  
9 that, the unprotected excess ADIT, correct?

10 A. That's correct.

11 Q. Okay. What the Chairman was referring to is  
12 midyear this year Kentucky Power made an application  
13 -- complaint application to change the settlement  
14 agreement that was approved with KIUC to use \$10.8  
15 million for the -- what had --

16 A. Debt forgiveness.

17 Q. -- the debt forgiveness case. Okay.

18 Is that correct?

19 A. Yeah. It's my understanding that Kentucky  
20 Power along with the other party to that settlement  
21 in the complaint case agreed to make that change to  
22 the settlement agreement, to the 18 years.

23 Q. No. After you guys filed the application, we  
24 intervened and then entered into a settlement -- you  
25 unilaterally asked to change the settlement

1 agreement. It's a matter of record, but you can  
2 look at it.

3 A. I will -- subject to check, I will agree with  
4 that, but it's my understanding that you later  
5 agreed through a settlement.

6 Q. We did. And I want to -- I want to take a  
7 little credit for that.

8 Because the \$10.8 million, that -- the  
9 Commission deferred that entry to be dealt with  
10 holistically in this case, correct?

11 A. That is my understanding of the order in that  
12 case, yes.

13 Q. Okay. And the winners of that debt  
14 forgiveness application and subsequent settlement  
15 agreement would have been the people who are in  
16 arrears because they would have their past bill dues  
17 -- past-due bills forgiven in large or in whole,  
18 correct?

19 A. That's correct. And my reading of the order,  
20 I think that was part of the issue, is the  
21 Commission described perhaps a more equitable way to  
22 pass those dollars back.

23 Q. And who -- and the other -- who was going to  
24 get the money?

25 Kentucky Power was going to get the \$10.8

1 million, correct?

2 A. Kentucky Power was going to amortize those  
3 dollars to relieve what would otherwise turn into  
4 bad-debt expense, yes, from those customers' bills,  
5 and essentially wipe the slate clean from those  
6 customers and hopefully get them back on track.

7 Q. And we agreed with that. And do you recall  
8 the settlement agreement noted that KIUC who was not  
9 past-due, or members, were actually going to take a  
10 hit or contribution of \$2.37 million that we would  
11 otherwise receive through the tax credit rider?

12 A. I don't know the exact number, but that  
13 sounds familiar.

14 Q. Okay. So -- okay. So that was that, and  
15 we'll deal with it in this case.

16 I want to talk about Rockport real quick, by  
17 way of background. The Rockport unit power  
18 agreements were originally entered into in 1984.  
19 You weren't around then?

20 A. I was in existence. I was not at Kentucky  
21 Power.

22 Q. You're sitting in -- well, currently sitting  
23 in the Richard Raff Hearing Room, and Mr. Raff spent  
24 a lot of time litigating it at FERC, Commission,  
25 state court, federal court.

1           Do you know much about litigation that ended up  
2 with the unit power agreements? Mr. Overstreet  
3 does, I'm sure.

4           A.       I have a general understanding of the initial  
5 litigation and then what happened in 2004 in the  
6 extension.

7           Q.       So in 2004, the agreements to extend were  
8 extended for 18 years until December 7th, 2022?

9           A.       Yes.

10          Q.       Okay. Kentucky Power buys 30 percent of AEP  
11 generating company's 50 percent ownership in  
12 Rockport unit 1 and unit 2, correct?

13          A.       That's correct.

14          Q.       Okay. And is AEP generating company an  
15 unregulated affiliate of Kentucky Power?

16          A.       That's correct. It's not regulated by any  
17 state jurisdictions.

18          Q.       Rockport unit 1 is essentially a straight  
19 comfort of service, a declining rate base, model  
20 versus Rockport unit 2, which is a levelized UPA  
21 based upon the sale-leaseback agreement that AEP  
22 generating company entered into with Wilmington Bank  
23 and Trust back in the 1980s -- or 2004, I guess,  
24 timeframe?

25          A.       I think that's a fair characterization. Yes.

1 And so -- and that billing -- that's all included in  
2 the FERC approved UPA agreement.

3 Q. Okay. So the Rockport clause goes to the  
4 fuel adjustment clause, correct?

5 A. Yes.

6 Q. You forgot to mention that earlier, but I  
7 know it was just an oversight. The environmental  
8 costs, to the extent they're not rolled into the  
9 base rates, go for the environmental surcharge,  
10 correct?

11 A. That's correct.

12 Q. And the bulk of the account 555 purchase  
13 power expense is recovered in base rates?

14 A. Yes.

15 Q. Okay. So when we talk about -- it will be a  
16 good thing for Kentucky Power when the unit power  
17 agreements expire, won't it?

18 A. I'm sorry. I missed a little bit of your  
19 question there. Can you repeat it?

20 Q. It will be a good thing for Kentucky Power  
21 and its customers when the Rockport unit power  
22 agreements expire?

23 A. Well, I guess time will tell what exactly it  
24 will be, but I can say that it's -- it will be a  
25 reduction in expense related to that agreement going

1 away. Right? We'll have to replace it at some  
2 point with something, but right now we do expect  
3 some savings, yes.

4 Q. The Rockport power agreement is subject to  
5 390 megawatts, 15 percent of two 1,300-megawatt  
6 units?

7 A. Yeah, I don't have the exact number, but ball  
8 park that sounds about right.

9 Q. The currently pending IRP, the Kentucky Power  
10 case analysis was that 140 megawatts of the 390  
11 megawatts would need to be replaced and that the  
12 other -- what is that 250 would not need to be  
13 replaced. Is that your understanding?

14 A. I am not familiar with the IRP proceeding,  
15 but I am generally familiar with our capacity  
16 planning. And yes, the company is long capacity up  
17 through the date of the UPA termination, and then  
18 the company is short capacity starting on December  
19 8th, 2022.

20 Q. So 390 megawatts go away, and the estimate  
21 was that 140 would need to be replaced, correct? I  
22 don't know if you know or you need to look at that.

23 A. I don't know the exact number, but, you know  
24 -- and it would be a planning assumption at this  
25 point, but yes, I believe it's over 100 megawatts

1 that you're short at that point.

2 Q. And we've all done preCOVID pandemic  
3 analysis, we don't know, right, that 140 megawatts  
4 is still the right number?

5 A. You never know what the exact number is when  
6 you're planning these things because it's all based  
7 on UCAP figures; so there's a unit performance  
8 measure, and then there's also what the -- the load  
9 and the 5 PT obligation will be when we get to the  
10 actual delivery year.

11 And so the -- the delivery year in question  
12 will be 2223 [sic], so yeah, those numbers move  
13 around a little bit.

14 Q. Staff -- and I wanted to ask you this too:  
15 The fixed cost savings that are expected gross --  
16 now, maybe some of them will have to be replaced  
17 with something else, and then there's market  
18 purchases for the first two years, is the plan  
19 assumption, but the gross savings -- fixed cost  
20 savings when the Rockport UPAs expire are  
21 approximately what?

22 A. I actually took a note of this from your  
23 questions earlier in the week. It's included in the  
24 test-year cost of service year, is 57.4 million in  
25 account 5550027. That is the Rockport demand costs,

1 the fixed cost savings you're referring to.  
2 And like you said, that's a total amount. Some  
3 portion, like you referred to, is included in the  
4 environmental surcharge. Some portion isn't.

5 Q. Okay. Good. It's an important number.  
6 \$57.4 million. That's a large number.

7 A. It is.

8 Q. Also by way of background, when the unit  
9 powers were extended in 2004, KIUC and the  
10 Attorney General agreed and the Commission approved  
11 to the capacity charge -- I call it the equity  
12 kicker, but it's the -- it's the amount -- in this  
13 case, that's \$6.2 million above cost of service?

14 A. I believe it is referred to as the  
15 supplemental payment in that agreement.

16 Q. Okay. But it's 6.2 million, correct?

17 A. For 2021, yes.

18 Q. And 2020?

19 A. And in 2020. 2020, 2021, and then it goes  
20 down a little in 2022.

21 Q. To reflect that -- the December 7th  
22 termination date?

23 A. Correct.

24 Q. Okay. That will come up later. All right.

25 So -- and there's -- okay. So let me just



1 sort of review the bidding. Oh, there you are.

2 Okay.

3 And I'm going from your original filing, and  
4 I know there have been some slight adjustments, but  
5 Kentucky Power's proposed a \$70 million base rate  
6 increase?

7 A. Yes. There's a \$70 million base rate  
8 increase, a \$1.1 million increase from the proposed  
9 grid modernization rider related to AMI, and then  
10 there was the negative \$6.2 million decrease in the  
11 capacity charge.

12 Q. The \$70 million is a 13.1 percent base rate  
13 increase? You've done the math?

14 A. That's correct. That's on the section 5  
15 summary in the filing schedules.

16 Q. Okay. And when you add the 1.1 and subtract  
17 the 6.2, the net rate increase has been noticed as  
18 12.21 percent?

19 A. That's correct.

20 Q. Okay. Now, the company's proposal is to use  
21 65 million of the unprotected excess ADIT for one  
22 year to offset the first year base rate increase,  
23 correct?

24 A. Just a -- I guess a finer point on that would  
25 be that we're proposing to use enough ADIT to offset

1 \$65 million in net revenue increase. So it's a  
2 lesser amount of ADIT to gross it up for federal and  
3 state taxes.

4 Q. That's my point -- excuse me -- I think in  
5 this record.

6 A. Yeah.

7 Q. So the revenue requirements -- the revenue  
8 requirement fact of the excess ADIT would be used to  
9 offset 65 million of base rate increase?

10 A. Correct.

11 Q. Okay. What is the revenue requirement that,  
12 you know, applies to apples of unprotected excess  
13 ADIT today, to the best that you know?

14 A. Could you clarify?

15 Q. Yeah. It was 13.5 million in April 2020, you  
16 use up part of it every month with the tax credit  
17 rider. Do you have any idea how much it is today?

18 A. How much in rates for the federal tax credit  
19 rider?

20 Q. How much is in the bank? How much is left?

21 A. Yeah. I have the exact amount, I believe.

22 VICE CHAIRMAN CHANDLER: Mr. Kurtz, while  
23 Mr. Vaughan's looking at that, can I just clarify,  
24 are you asking the difference between the actual  
25 amount and the revenue impact?

1 MR. KURTZ: Either one, but I want to know  
2 how much is currently in the bank that the company  
3 owes customers, either the revenue requirement  
4 effect or the fee --

5 VICE CHAIRMAN CHANDLER: Just the November  
6 number, is what you're kind of asking for?

7 MR. KURTZ: Yes, sir.

8 VICE CHAIRMAN CHANDLER: All right. Thank  
9 you.

10 A. So if you go to Company Witness West's  
11 rebuttal testimony, page R3, there's a -- there's a  
12 figure in there that shows what the -- what's left,  
13 essentially, in the bank, as you referred, and what  
14 the actual rate offset would be.

15 So under our company's proposal, we would  
16 amortize 48 million -- 48.3 million of excess ADIT  
17 to offset the \$65 million of net increase. To that,  
18 you also have the \$10.8 million the company's  
19 proposed in the debt forgiveness measure. And then  
20 you have roughly \$6.95 million of unprotected excess  
21 running through the federal tax cut rider at this  
22 time.

23 So I think -- I think based on all those --  
24 and at the end of 2020, there would be approximately  
25 I think about \$81-, \$82 million left in the bank, if

1 I'm looking at the schedule correct. We can give  
2 you the compact number in a post-hearing data  
3 request if that would help.

4 BY MR. KURTZ:

5 Q. I guess that would be a good idea. But we'll  
6 submit it in writing, per the Chairman's  
7 instructions.

8 So the excess -- unprotected excess ADIT is  
9 money the company owes consumers?

10 A. That's correct, as we discussed earlier.

11 Q. Okay. And you are essentially paying  
12 consumers through a weighted average cost of  
13 carrying charge while you hold on to customer money?

14 A. Yeah. That's right. It's reducing the  
15 company's return-on component. And conversely, when  
16 you amortize that and give it back to customers, the  
17 capitalization or rate base, the return-on component  
18 goes up when you amortize that because it's reducing  
19 the rate credit.

20 Q. So does that mean we are getting reduced in  
21 the amount that you owe us?

22 A. You're paying less in base rate, so yeah, I  
23 think it's fair to say that you're getting it at a  
24 WACC carrying charge.

25 Q. That's what I thought.

1           You referred to other jurisdictions. What is  
2 the other amortization period that other  
3 jurisdictions have used?

4           We know Kentucky was originally 18 years, but  
5 I know a lot has happened that it will probably be  
6 less.

7           What are the other jurisdictions?

8           A.       There are various -- various answers to that  
9 question I think I gave you -- I directly  
10 participated in the company's response to that in  
11 Virginia and West Virginia.

12           And I know generally our FERC schedules I guess like  
13 for transmission, it was a ten-year schedule there  
14 in all transmissions.

15           And then in West Virginia, oh, gosh, we did various  
16 measures of mitigation, like we're discussing here.  
17 We eliminated some portion of a rate increase.

18           We've reduced fuel deferrals with using excess ADIT  
19 dollars, and then again we have something kind of  
20 similar here at the FTC at the TRR here in West  
21 Virginia.

22           And that's going to I think in 20 -- late '21, early  
23 '22. So you're amortizing it over, you know, three,  
24 four years there.

25           Virginia is a similar timeframe. We had -- we did

1 something similar there with we -- we offset a fuel  
2 increase over one year of \$55 million in 2019, I  
3 believe, and then we have a tax cut rider there as  
4 well that ends next year.

5 Q. Interesting. I thought all of the clever  
6 uses of -- rate making uses of those moneys I heard  
7 about -- certainly when I heard about the offset in  
8 this case -- rate increase. Okay. But -- so.

9 Now, let's look at the AIG increase proposal.  
10 It's a base rate increase of 43.242 million.

11 A. That's Mr. Carlin's proposal?

12 Q. Yeah. He's got the schedule on page 7.

13 A. Bear with me for a second while I get that.  
14 Thank you. I'm there.

15 Q. I don't know if there's a line, but do you  
16 see -- obviously rate of return and some  
17 compensation, all these different adjustments, we're  
18 proposing a 43.242 million base rate increase as  
19 opposed to your 70 million?

20 A. Yes. I see that.

21 Q. Okay. And then what the Attorney General and  
22 KIUC would do is also eliminate the 6.2 million  
23 capacity charge premium?

24 A. The supplemental payment in the --

25 Q. We would eliminate that also for a net

1 increase on those items of 37.042 million. Is that  
2 your understanding of Mr. Carlin's proposal?

3 A. That is Mr. Carlin's proposal, yes.

4 Q. So that would be a net rate increase of  
5 approximately 7 percent. And piggybacking on what  
6 AIG is, we said, "Good idea, first year net increase  
7 of 37 million."

8 Is that your understanding of our proposal?

9 A. I'm sorry. Can you say again?

10 Q. We said, "Let's lower the base rate increase  
11 and also use the tax money that the company owes  
12 consumers to offset the first year full amount of  
13 the base rate increase net of the 6.2 million  
14 elimination of the capacity charge."

15 A. Yeah. That's your proposal, as I understand  
16 it, among other things regarding tracking of certain  
17 costs and whatnot, yes.

18 Q. Okay. So the first year we would do the  
19 37 million revenue requirements basis, so the tax  
20 money the company owes consumers compared to the  
21 company's proposal using 65 million.

22 Is that your understanding -- let's focus on  
23 the tax money.

24 A. Sure.

25 Q. Okay. And then our proposal is to use -- is

1 to offset 50 percent of the year two rate increase  
2 or 18.5 million in year two by using tax money?

3 A. Yeah. I think -- I think that's correct. I  
4 mean, I understand what you're doing. We don't  
5 agree with your proposed rate increase, but I  
6 understand your concept, yes.

7 Q. My only point on this one is this: In terms  
8 of credit metrics and so on and so forth, we've been  
9 talking about, we will only use 55.5 million of the  
10 unprotected excess ADIT two years whereas the  
11 company would use 55 million in one year?

12 A. Yeah, that's the math, right, but when you  
13 come out of it, there's a small increase as well  
14 that would impact credit metrics.

15 Q. I totally understand. The credit metrics of  
16 the use of the tax money. We're actually proposing  
17 less of it over two years than the company is in one  
18 year?

19 A. That is how the math works out. I agree.

20 Q. Let's talk about the credit enhancement or  
21 payment enhancement, the capacity charge, the  
22 6.2 million. That was approved by the Commission,  
23 agreed to by KIUC and the Attorney General back in  
24 2004, is partial incentive for the company to extend  
25 the unit power agreement for 18 years. Is that your



1 understanding?

2 A. Yeah. That's my understanding. Based on the  
3 facts at the time of that case, you know, the  
4 company was going to forego a lot of market value on  
5 that asset, and as part of the total economic  
6 analysis in that case, the Commission, the parties  
7 found it prudent to grant the company its  
8 supplemental payments over the life of the  
9 extension.

10 Q. Would you agree that over the 2005-2020  
11 period the company reflected on a nominal basis  
12 97.3 million of that credit enhancement or payment  
13 enhancement?

14 A. I'm sorry. Didn't catch the beginning date.  
15 What was -- from 2005, is that what you said?

16 Q. Yes.

17 A. Yeah. I mean, I haven't done the math on  
18 that. So whatever's in the order, if that's how it  
19 adds up, I would agree, you know, and I'll add this  
20 isn't -- hasn't been included in base rates, you  
21 know, it gets removed from every base rate case.

22 And even with the supplemental payment or  
23 whatever you would like to characterize it as, the  
24 company's receiving that today, it's still earning  
25 its, you know, 5-ish percent ROE.

1 Q. Okay. And I know you haven't done this math,  
2 but subject to check or just -- would it surprise  
3 you that if you add an 8 percent carrying charge to  
4 the nominal payments over that period of time, that  
5 16 years, Kentucky Power would have gotten 107  
6 million of that present value expense?

7 A. Yeah, I don't know what the number works out  
8 there, but I also don't know what kind of market  
9 revenues the company had foregone on that, the  
10 company being AEGCO, or who would be selling that  
11 during the 2000s, or think back in '07 or '08 when  
12 L&Ps were \$70 to \$100 around the clock. That's a  
13 lot of power. So, I don't think you can just look  
14 at that in isolation.

15 Q. That's fine. I don't think the L&Ps were  
16 that high around the clock, but in the last -- this  
17 the last -- in the last five or six or seven years,  
18 you certainly couldn't make any money with Rockport  
19 in the market, could you? Coal units have all been  
20 big money losers?

21 A. There's definitely a reduced energy value,  
22 you know, on those units in recent years. No. Low  
23 gas prices, low L&Ps, high amount of renewables.  
24 Yeah. I agree with that.

25 Q. All right. So do you agree that the -- that

1 the Commission has an independent duty to ensure  
2 that settlement agreements it has approved remain  
3 reasonable?

4 MS. BLEND: Objection to the extent that  
5 Mr. Kurtz is asking Mr. Vaughan to provide a legal  
6 opinion.

7 BY MR. KURTZ:

8 Q. Is your role as chief regulatory person -- I  
9 don't want a legal opinion, but is that your  
10 understanding from a regulatory basis?

11 A. I'm not sure I'm chief of anything, but my  
12 understanding is the Commission's duty is to make  
13 sure that rates are just and reasonable, yes.

14 Q. Vice Chairman Cicero thinks you should be  
15 chief of something apparently, former Vice Chairman.

16 A. He may be, but that's nice.

17 Q. First of all, let me ask you. You said,  
18 okay, we'll give up that 6.2 million but it's  
19 contingent on us getting 100 percent of our rate  
20 increase. That was your position, right?

21 A. So yeah, let's talk about that.

22 The position there is that we took everything  
23 -- you know, when my team worked with Kentucky  
24 Power management to put together all the options for  
25 this case, we had to view everything to get, and it

1 was the balancing act of trying to fix the financial  
2 health of Kentucky Power and try and mitigate the  
3 rate impact on customers in any way we could.

4 And so when I make that proposal and say it's  
5 conditioned upon us receiving our request, the thing  
6 there is, you know, for instance, if you -- you give  
7 us our -- let's say -- let's say we get everything  
8 we ask for but you say we can't track OATT LSE  
9 costs.

10 My position would be no, we can't give up the  
11 6.2 million, and that's why I recommended Mr.  
12 Mattison for him making that decision because we  
13 still wouldn't have the opportunity to earn our  
14 allowed return or near it. You know, if you're  
15 giving up a certain amount, and you're getting a  
16 certain amount, you -- everything's a balancing act  
17 here.

18 So yes, it is a conditional mitigation. And I  
19 think there are -- there are circumstances where we  
20 would agree to something other than in full, and  
21 there are circumstances where we wouldn't. And as  
22 Mr. Mattison said, you know, whatever happens,  
23 happens here, and then we'll do the financial  
24 analysis and we'll make a -- we'll make the  
25 recommendation to him, but at the end of the day,

1 it's his call.

2 Q. Have you ever been involved in a base rate  
3 case anywhere where the AEP had gotten 100 percent  
4 of its requests?

5 A. Only in my dreams. No. No. I've never been  
6 in one.

7 Q. So was that -- was that sort of a false  
8 offer?

9 A. No. It absolutely was not. It was part of  
10 that balanced consideration, as I said.

11 Q. So you give us -- Kentucky Commission, you  
12 give us something we've never ever gotten anywhere  
13 else, and we'll kick in the 6.2 million. It almost  
14 seems like it was a false -- false offer, maybe a  
15 better description.

16 A. I would disagree with that. I mean, we  
17 are -- you know, I -- I know what Mr. Carlin has in  
18 his revenue requirement proposal, but the -- the  
19 company -- the company's position is there's --  
20 besides the couple -- couple items that I identified  
21 in Hearing Exhibit 1, there's not a lot of room for  
22 us to move and have an opportunity to earn our --  
23 near whatever our allowed return is. And that is  
24 why we proposed things the way we did. It's not a  
25 fake offer. It's definitely genuine or we wouldn't

1 have done it.

2 Q. Okay. Didn't the 2004 settlement agreement  
3 between the Attorney General, KIUC, and Kentucky  
4 Power, which authorized this 6.2 million which was  
5 approved by the Commission -- didn't that settlement  
6 agreement anticipate and take into account what  
7 would happen if the Commission ever rejected the  
8 6.2 million for rate-making purposes?

9 I'll refer you to page 7 of the settlement  
10 agreement, and I know you quote the settlement  
11 agreement in your rebuttal.

12 Page 7 under procedural terms, paragraph 3.

13 MS. BLEND: Mr. Kurtz, do you have a copy of  
14 the settlement agreement that you would like to  
15 display or have staff display? I'm not sure that  
16 Mr. Vaughan has a copy of it with him. It was not

17 --

18 MR. KURTZ: I would if --

19 MS. BLEND: -- an exhibit to his testimony.

20 MR. KURTZ: Christen, I would -- if I could  
21 put it through the computer. It's attached to the  
22 testimony 00420. The order was entered into on  
23 December 13, 2004. Mr. Vaughan quotes from the  
24 settlement agreement in his rebuttal.

25 MS. BLEND: And, Mike, Mr. Kurtz, I can

1 actually help. My co-counsel reminded me -- has  
2 actually recommended that the order be marked as  
3 Hearing Exhibit 2, or has been marked as such. So  
4 that could be displayed as Hearing Exhibit Number 2,  
5 and I'll provide it to Mr. Vaughan --

6 MR. KURTZ: Thank you.

7 MS. VINSEL: Travis, did you get that? We  
8 need Kentucky Power's Hearing Exhibit Number 2.

9 THE WITNESS: Which page were you referring  
10 to of the order?

11 BY MR. KURTZ:

12 Q. The settlement agreement, page 7,  
13 paragraph 3.

14 A. The one entitled "additional revenues"?

15 Q. No. If at any time prior to the  
16 expiration --

17 COMMISSIONER SCHMITT: Let's see if we can  
18 get the page on the screen. I'm --

19 MS. VINSEL: Travis, that's on PDF page 17.

20 MR. KURTZ: That's it.

21 MS. VINSEL: And it's about halfway down the  
22 page.

23 THE WITNESS: I was looking at the PDF page  
24 number, not the order page number. Yeah, I'm there.

25 BY MR. KURTZ:

1 Q. Okay. I don't think you have it memorized,  
2 but let me -- let me go through.

3 So the question is: Doesn't the settlement  
4 agreement anticipate what the company's revenue  
5 would be if the Commission changes the 6.2 million?  
6 If at any time prior to the expiration of the  
7 extension of the unit power agreement under this  
8 stipulation, the Kentucky PSC or its successor  
9 enters an order that prevents Kentucky Power from  
10 charges rates consistent with the provisions of  
11 section so and so, the 6.2 million, Kentucky Power  
12 may, upon 120 days' notice to the Commission and  
13 parties to the stipulation, begin legal or  
14 regulatory proceedings necessary to terminate the  
15 extension of the unit power agreement and withdraw  
16 from all other obligations under the agreement.

17 So you have -- if the Kentucky Commission,  
18 against your will, objection, says no, the  
19 6.2 million goes away, you have the right to get out  
20 of the unit power agreement.

21 A. I think -- I agree that's what the words say.  
22 I think we would have to -- again, I'm not sure what  
23 the legal and regulatory requirements would be to  
24 try to terminate the UPA early.

25 Q. Well, financially you would never want to do



1 it. You wouldn't want to pour on this 390  
2 megawatts-and-above market the -- you would lose  
3 your 6.2 million, and you would lose money reselling  
4 it to the wholesale markets.

5 A. Kentucky Power would be short capacity too.

6 Q. You could easily keep --

7 A. No, sir, you can't.

8 Q. But my point --

9 A. We have committed through June of -- through  
10 May 31st of 2022 in the companies or for our plan we  
11 can't do that. That is already committed to serve  
12 customers.

13 Q. That's a good, point, but -- but your remedy  
14 is to get out of the unit power agreement, which is  
15 something you -- you obviously would not want to do,  
16 but the settlement did anticipate and envision a  
17 path where the 6.2 million would go away, you could  
18 get out of the unit power agreement.

19 Now, that's problematic, no question, maybe  
20 even unrealistic, but the settlement agreement  
21 envisioned what would happen. That's what the words  
22 say.

23 A. Is that your question? Yeah. That's what  
24 the words say. I don't --

25 Q. Isn't that what the words say?

1 A. That is -- the words say what they say. I  
2 agree with that. Yes.

3 Q. Okay. Okay. Let me ask you about rebuttal  
4 testimony and -- and the transmission costs.

5 I know you remember this but obviously  
6 transmission was the big issue. The company wants  
7 -- thank you.

8 The company wants 100 percent of the  
9 incremental OATT and LSE transmission costs  
10 recovered in the PPA. Right now you're getting 80  
11 percent, per the settlement of the last case, the  
12 provision you got for the PPA, correct?

13 A. Yes.

14 Q. Okay. And the AIG KIUC says no, it should be  
15 100 percent base rates?

16 A. That's your position, yes.

17 Q. Okay. In your rebuttal you say that if it's  
18 going to be 100 percent base rates, our base rate  
19 increase should be \$14 million higher?

20 A. Yes, that's correct, based on the rates that  
21 are on file for January 2021 that were on file I  
22 think November 1st.

23 Q. So that would be another 2.6 percent base  
24 rate increase?

25 A. Yeah.

1 Q. 5.33 --

2 A. \$5.34 million is a 13 percent increase.

3 Q. So okay. So that would take the total base  
4 rate increase to 15.8 percent?

5 A. Yeah. All things being equal, the increase  
6 percent goes up.

7 Q. Okay. Now, you noticed the 13 percent, but  
8 you're asking for 15 under these circumstances. I  
9 don't know if that's legal, but let's -- let me just  
10 say this: Does the \$14 million represent the rate  
11 increase consumers would receive through the PPA if  
12 100 percent of the incremental transmission expense  
13 went through the PPA?

14 A. Yeah. That's right. But it's done in  
15 different ways. You're either going to see it in  
16 base rates in these chunks or you're going to see it  
17 over time through the deferral accounting and  
18 incremental annual true-ups to the PPA.

19 And that's one of those things that have kept  
20 rates, you know, flat or moving up and down over the  
21 last three years since our last rate case. You've  
22 got to recover that expense, either in, you know,  
23 lump sums and base rate increases or you recover  
24 that expense incrementally as it occurs, you know,  
25 over time.

1 Q. As you know from prior discussions we're not  
2 all that thrilled with paying with incremental  
3 increases in Michigan and Indiana on a real-time  
4 basis through the PPA.

5 But if the rate -- if the transmission  
6 increase to the PPA would be \$14 million in 2021, it  
7 probably would be a similar if not greater amount in  
8 2022?

9 A. I don't have that number, but, you know,  
10 that's -- the reason I have that number is because  
11 we do -- the company does the formula rate filing  
12 update by the end of October each year for the  
13 following -- coming year, but yes.

14 Q. So where we agree that there's a \$10.1  
15 billion five-year CapEx budget for PJM transmission  
16 and Kentucky Power gets 5.6, 5.7 percent of the  
17 total.

18 So we know what rate increases in  
19 transmission would automatically -- automatically  
20 flow through the PPA \$14 million in '21, we don't  
21 how much in '22. It would be a lot, wouldn't it?

22 A. I don't know the exact magnitude, right,  
23 because those are capital dollars, not revenue  
24 requirement dollars. You know, there's full costs  
25 of service there, O&M and taxes and other things,

1 but, you know, while that tax is going up in real  
2 time, you may have reductions in fuel costs going  
3 down.

4 As we mentioned, fuel or PPO have been fairly  
5 low. You know, those kinds of reductions have been  
6 flowing back in real time to customers at the same  
7 time that we've been tracking 80 percent of the  
8 incremental load costs. Yes.

9 Q. Fuel goes up and down, thanks goodness for  
10 small favors.

11 The incremental reduction rider, are we going  
12 to see a reduction in that income any time soon?

13 A. Yeah, based on Mr. Kerns's discussion the  
14 other day, you know, once -- once the  
15 decommissioning is done, right, so as we do the  
16 actual decommissioning work per the settlement  
17 agreement and establish the decommissioning rider,  
18 the balance goes up as you do the actual work.

19 And then it gets re-levelized over the  
20 remaining recovery period. So once the  
21 decommissioning work is done, I think Mr. Kerns was  
22 -- discussed that some, you will then start to see a  
23 decrease in that over time in that as it's -- as the  
24 balance is re-levelized and reduced over time.

25 Q. Okay. Is the decommissioning rider done on

1 an annual basis or is it changed --

2 A. Yes.

3 Q. -- monthly? Annual?

4 A. Annual rate change. Yes. Once a year.

5 Q. Do you know when it changes?

6 A. I believe we file it in August, and it's  
7 effective October.

8 Q. Okay. So we're going to have to wait another  
9 year to see any reduction?

10 A. A reduction from what?

11 Q. The \$21 million in the test year.

12 A. I guess if decommissioning work is done and  
13 the balance decreases, yeah, you'll see a change in  
14 the rate next year, when we do the annual update.

15 Q. Okay. Now I want to end with the fixed cost  
16 savings of \$57.4 million of savings, the gross --  
17 that's the 390 megawatts of Rockport fixed cost  
18 savings will go away. Maybe 140 megawatts or a  
19 lesser amount has to be replaced. The market -- the  
20 gross amount is \$57.4 million of savings.

21 Part of it will go through the environmental  
22 surcharge automatically, correct?

23 A. That's correct. You're going to have -- we  
24 have some embedded amount in the monthly  
25 environmental surcharge base amounts, so when those

1 costs goes away, the difference flows through the --  
2 the environmental surcharge.

3 Q. Okay. The remainder, per the settlement  
4 agreement in the last rate case, will go to Kentucky  
5 Power to make sure that your -- you earn your  
6 authorized return on equity in 2023, correct?

7 A. Yes. In 2023, the company can use up to the  
8 amount in base rates to earn its authorized ROE, and  
9 the amount above that goes -- goes back through  
10 customers through the PPA, and then the entirety of  
11 the amount would -- of the fixed cost savings amount  
12 in 2024 would go through the PPA.

13 Q. And obviously at this point nobody knows how  
14 much of the 57.4 -- we probably know how much is the  
15 environmental surcharge, but of the  
16 non-environmental surcharge \$57.4 million fixed cost  
17 savings, nobody knows how much is going to be needed  
18 by Kentucky Power to your authorized ROE and how  
19 much will be left over for consumers?

20 A. No idea. You're correct.

21 Q. Mr. Vaughan, thank you very much.

22 MR. KURTZ: Mr. Chairman, no further  
23 questions.

24 COMMISSIONER SCHMITT: Ms. Grundmann,  
25 cross-examination?

1 MS. GRUNDMANN: Just briefly.

2 CROSS-EXAMINATION

3 By Ms. Grundmann:

4 Q. Good evening, Mr. Vaughan. How are you?

5 A. It's evening. I guess good evening. Yes.

6 Q. It's 4:45 so I guess afternoon still counts.

7 I have just a couple of really brief  
8 questions.

9 You were involved in the APCO Virginia  
10 triennial rate case, were you not?

11 A. I certainly was.

12 Q. Am I correct that in that case, APCO sought  
13 to recover the costs from its 2017, 2018, and 2019  
14 in its base rates?

15 A. It did, yes.

16 Q. Isn't it true that in Virginia there is  
17 actually a statutory provision, the Grid  
18 Transformation Security Act, that would have  
19 authorized APCO to have sought to recover AMI  
20 through a rider provision?

21 A. Yeah. That's right. There's a lot of  
22 statutory regulations and requirements from that,  
23 and we like to learn from others, and Dominion  
24 unsuccessfully filed twice through that mechanism,  
25 and the company across the state line of Virginia



1 was facing similar issues where meters were obsolete  
2 and were failing. They had to do the replacement,  
3 and they took that impact in base rates, yes.

4 Q. And so they're seeking in there to recover  
5 through base rates as opposed to the proposal here  
6 which is to recover it through a rider mechanism?

7 A. Yeah. And the big distinction there was APCO  
8 Virginia was in a much different position than  
9 Kentucky Power. It was in a position where it had  
10 sufficient base rate earnings to be able to absorb  
11 that investment and still earn around its authorized  
12 return, whereas Kentucky Power -- again, let's just  
13 say we don't need a CPCN because you didn't need one  
14 in Virginia, but let's say you don't need one here  
15 in Kentucky, Kentucky Power's not in a position  
16 where it could just start deploying those meters and  
17 absorb that capital and, you know, O&M expense to do  
18 that.

19 Q. Well, so, Mr. Vaughan, I think in your direct  
20 testimony, and I will give you the reference if I  
21 can find it, it is page 4, you offer sort of a  
22 discussion of when it's appropriate to recover costs  
23 through a rider versus costs through base rates.

24 And so I guess I'm just trying to understand  
25 that the way I understood your direct testimony is

1 that the -- the delineation has to do with whether  
2 or not these costs are anticipated, whether they  
3 have a tendency to really change from year to year.

4 But what I guess I am hearing you say now is  
5 that -- how you're proposing to recover it is really  
6 about the company's earnings?

7 A. I'm distinguishing between why APCO Virginia  
8 was able to do what they did in Virginia, again,  
9 absent the different CPCN requirements because it's  
10 a different state, you know, it was able to go just  
11 replace its obsolete meters and absorb that impact  
12 in its base rates.

13 The company has other affiliates who are also  
14 requesting riders for AMI deployments, you know, and  
15 the circumstances are different here in Kentucky.  
16 We do not have -- again, we needed a CPCN, so those  
17 requirements are different.

18 But, you know, it's -- what the company is  
19 proposing here is a flexible way to be able to do  
20 this four-year deployment in Mr. Blankenship's  
21 reports through the grid modernization rider, and  
22 just to be clear, the proposal here isn't to always  
23 collect it through the rider.

24 It would just be that incremental cost between  
25 the base rate cases. So let's say we go two years

1 and then we have a base rate case. We would roll  
2 that GMR amount into base rates. We're not asking  
3 to be treated special always. We're looking for the  
4 flexibility to help -- again all things being  
5 considered, keeping Kentucky Power financially  
6 healthy and give it the opportunity to make the  
7 needed distribution grid investments that it needs  
8 to make.

9 Q. So I want to come back to the statement that  
10 you just made there about rolling it into base  
11 rates, but I want to go back.

12 I think you indicated that in Virginia you  
13 learned from the examples that were set by  
14 Dominion's double attempts to get AMI approved  
15 through the Grid Transformation Security Act  
16 processes, and as you correctly noted, the Virginia  
17 Commission denied them that.

18 And isn't it true that, to the extent that  
19 you know, that in Virginia you have to go through  
20 and prove sort of a cost-benefit analysis that the  
21 deployment of AMI satisfies the statutory tests  
22 through the cost-benefit analysis?

23 MS. BLEND: Your Honor, I would just object  
24 at this point. We're talking about Mr. Vaughan's  
25 interpretation of legal requirements in Virginia.

1 That's at least objectionable in terms of the  
2 request for a legal opinion testimony, and I'll also  
3 object on relevance grounds at this point.

4 MS. GRUNDMANN: Absolutely, your Honor. I  
5 think the relevance is, is this Commission is being  
6 asked to consider whether or not to provide the  
7 company with cost recovery for AMI meters. I think  
8 that the recent experience through the 2020  
9 triennial rate case of APCO Virginia and its  
10 decision to recover the cost of meters through base  
11 rates -- I think all of that is just relevant to the  
12 Commission's consideration of the proper way to  
13 treat AMI deployment here in Kentucky.

14 COMMISSIONER SCHMITT: All right. Objection  
15 overruled.

16 MS. BLEND: Thank you, your Honor.

17 BY MS. GRUNDMANN:

18 Q. Mr. Vaughan, do you know whether or not  
19 Virginia required a cost-benefit analysis as part of  
20 its decision when analyzing grid transformation  
21 updates such as AMI?

22 A. I think there's a distinction to be made  
23 there. I believe there are additional hurdles such  
24 as a cost-benefit analysis as well as other things  
25 to get a grid modernization in Virginia to file

1 under that recovery mechanism to get the resulting  
2 RAC.

3 I think it's also grid modernization in  
4 Virginia.

5 Q. It is.

6 A. Again, you have to go through those  
7 collective -- the steps that are in the regulation,  
8 and then you have to go through and file and get a  
9 separate rate adjustment clause, RAC.  
10 And the company -- the company I know considered  
11 that, but again, because of the obsolescence and its  
12 need to replace those meters, it chose a different  
13 route because it was in a different financial place  
14 than Kentucky Power.

15 Q. Understood.

16 A. That's my understanding of why APCO Virginia  
17 acted in that matter.

18 Q. Understood. And I think that a moment ago  
19 what you said is that the way this would sort of  
20 work is that to the extent you filed a base rate  
21 case in two years, AMI costs would be rolled into  
22 base rates?

23 A. For, you know, whatever work -- let's say  
24 it's still a four-year -- we're doing this four-year  
25 deployment that we've done two years, and then we

1       come in for a base rate case, our proposal is to  
2       take those amounts that are being collected through  
3       the GMR at that time, include them in base rates.  
4       So you have a new base rate point for the new AMI  
5       rollout and then continue to collect incremental AMI  
6       costs at that time.

7       Q.       Understood. I guess it's really more of the  
8       notion that if they came in in two years.

9               I think that the testimony from the company  
10       in this case is really the hope that offering you  
11       proposed with the grid modernization rider is that  
12       it would really allow for longer periods of time  
13       between base rate cases.

14              And you and I both understand it's been three  
15       years since the last rate case. I understand the  
16       company's statements as to the reasons for coming in  
17       here in 2020, but it doesn't sound like there would  
18       be much of an avoidance of a rate case if we're  
19       talking about the company coming back in two years.

20       A.       That was just a hypothetical. I would like  
21       to stay out of these myself, as much as possible.

22       Q.       Well, you've got a lot of time here, so  
23       whether you want to stay out or not, you've got  
24       celebrity status here in Kentucky.

25       A.       Mom always said I would be popular one day, I

1 just didn't think it would be here.

2 Q. I understand.

3 A. But yeah, that's -- so obviously all of the  
4 company's proposals in this case are trying to,  
5 again, strike that balance of mitigating rate  
6 increases, at the same time getting the company's  
7 financial health in the right place, and the grid  
8 modernization rider is one of those proposals.

9 Q. That's all the questions I have, Mr. Vaughan.  
10 Thank you.

11 A. Thank you.

12 COMMISSIONER SCHMITT: Mr. Spenard,  
13 cross-examination?

14 MR. SPENARD: Yes, Mr. Chairman, we do.

15 CROSS-EXAMINATION

16 By Mr. Spenard:

17 Q. Good afternoon, Mr. Vaughan. Can you hear  
18 me?

19 A. I can.

20 Q. And if there's any difficulty hearing me or  
21 you don't understand a question, just let me no  
22 know. Okay?

23 A. Certainly.

24 Q. Okay. What I would like to do is -- is --  
25 it's very -- a lot of moving parts to this

1 application. One of those moving parts is the  
2 excess unprotected ADIT.

3 But for a moment, let's put the year-one  
4 offset to the side for just a moment and talk about  
5 the company's proposed rate increase.

6 With regard to the effective date of the new  
7 rates, they're going to be January 14th, 2021; is  
8 that correct?

9 A. That's my understanding.

10 Q. Okay. Now, a lot of different rate  
11 schedules, but if we take a look at and focus just  
12 on -- we'll focus just on the tariff RS for  
13 residential service, there is a proposal -- the  
14 company proposes to increase the service charge from  
15 \$14 a month to \$17.50 a month; is that correct?

16 A. That's correct.

17 Q. Okay. And with regard to the energy charge,  
18 March through November, there's going to be an  
19 increase from \$9 -- \$9.81 per kilowatt hour to  
20 \$12.265 per kilowatt hours. Is that correct?

21 A. That sounds roughly correct, yeah.

22 Q. Okay. Now, there are a lot of different  
23 elements that go into the bill that -- the total  
24 balance due for the bill that the customer receives.  
25 And I'm not going to go through the entire list of



1 elements, but school TAPs, environmental adjustment,  
2 fuel adjustment. A lot of different things go into  
3 that bill, correct?

4 A. Yeah. There's -- there's various surcharges  
5 and whatnot, credits to the FTC that -- it's all  
6 laid out in my direct testimony. Totally agree.

7 Q. Sure. Sure. And on a very basic level, the  
8 customer or -- the rate billing for that customer  
9 for residential service, there's going to be the --  
10 the monthly charges, and then that's the -- the  
11 service charge they get unrelated to usage, and then  
12 there's the energy usage charge. Actually, there  
13 are -- there are two parts to that notion of the  
14 rate billing; is that correct?

15 A. There's actually three. Unfortunately, we  
16 have fixed charge, we have the energy charges, and  
17 then we have the percentage of revenue rider, such  
18 the decommissioning rider and the environmental  
19 surcharge.

20 Q. Okay. Well, I was looking at -- I was  
21 looking at one of your bills, and I -- and it takes  
22 me a second to get on the same page, but the -- but  
23 the basic notion is that you -- your effective  
24 rates, January 14th, 2021, you're going to see  
25 increases in the service charge, as well as the

1 energy charge?

2 A. So here's the -- I think I know where you're  
3 going, and maybe I can just short-circuit a lot of  
4 this.

5 So it depends how the year-one offset is  
6 implemented. What happens kind of in the scenario  
7 where the company filed, you know, where you look at  
8 -- I have too many papers here. If you look at  
9 section -- section 5, the summary page that gets  
10 down to that \$65 million number, let's just assume  
11 that's the scenario, right. Base rates go up \$70  
12 million. Base rate charges go down 6.2. GRM is 1.1  
13 million. We have a \$65 million net amount right  
14 here.

15 The easiest way to implement that year-one  
16 offset would be to leave rates unchanged for the  
17 first year, so customer bills do not change, and  
18 then the company would amortize 1/12th of the  
19 associated excess ADFIT to income throughout the --  
20 throughout the year.

21 So there's no rate-billing change, and the  
22 company would receive the noncash earnings  
23 associated with that rate increase. So that's the  
24 simple version.

25 The more complicated version is if we start

1 incorporating other parties' proposals, such as  
2 let's say AG KIUC's proposal to reduce the  
3 environmental surcharge some amount based on the  
4 length of recovery for the unit 2 FCO Rockport.

5 So you can no longer amortize just the net  
6 rate increase because you would -- you also end up  
7 with an overall net reduction in the company's  
8 rates, so it would kind of be a double whammy on  
9 cash from a metrics standpoint.

10 So what we would want to do at that scenario  
11 is actually put the new base rate increase into  
12 rates, and I think this is where you're going, and  
13 you would want to offset that through the federal  
14 tax credit rider, the net amount, so that we get to  
15 that zero increase that we were looking to do in the  
16 mitigation proposal, and I get your concern that the  
17 FTC is a kilowatt hour base rider, and you'd have  
18 some customers who obviously would not offset their  
19 bill in total.

20 The way to fix that would be to -- you know,  
21 however the rate components change, you then  
22 allocate that offset by class in a similar manner  
23 through the FTC so that you get a more -- more exact  
24 bill. Actual results may vary a little bit, but you  
25 would get a more neutral impact on customers,

1 depending on how it's implemented.

2 Q. Well -- and the record will speak for itself.

3 I believe in response to an earlier  
4 cross-examination question, you said something to  
5 the effect of rate components may not change for  
6 billing purposes in describing the -- describing  
7 the -- the first year -- the year-one application of  
8 the excess unprotected accumulated deferred impact  
9 tax, is that --

10 A. That's right.

11 Q. -- what you --

12 A. Yeah.

13 Q. Okay.

14 A. If we can -- you know, let's -- perfect  
15 world, everything's approved as we filed it and  
16 we're offsetting that \$65 million net increase, you  
17 know, again, we could leave rate -- the base rate  
18 components the same until January 14th of 2022 and  
19 instead just amortize that excess unprotected income  
20 over that period of time so that customers get no  
21 increase and the company gets its nonfinancial  
22 earnings to bring its health up.

23 Q. Okay. And I apologize for just -- confirm --  
24 bear with me for just a second.

25 Under that scenario, you would leave -- you

1       literally would leave the customer charge at \$14 a  
2       month for that year?

3       A.       Yes.   Until you change overall rates in year  
4       two.

5       Q.       Okay.   All right.   With regard to the  
6       effective date of the proposed -- company's proposed  
7       -- and I'm just going to use the -- the reference  
8       NMS2 tariff, that's the effective date -- pardon?

9       A.       I said please do.   Let's not spell it out  
10      every time.   Yeah.

11      Q.       Sure.   The effective date is going to be  
12      January 14th, 2021; is that correct?

13      A.       That's right.   And so the underlying rates  
14      for -- for a customer generator are whatever their  
15      standard rate class would be.   So however the rate  
16      increase is implemented, that part is going to  
17      affect everybody, whether you're a customer  
18      generator or not.

19              The avoided cost rates, though, would change  
20      on January 14th as -- you know, that's not a rate  
21      billing, that's a different tariff mechanism there.  
22      It doesn't have anything to do with the increase.

23              So still, new customer generators as of  
24      January 14th would be subject to the avoided cost  
25      rates under NMS2 and noted -- not the one-for-one

1 netting under NMS, and no, there's no offset to that  
2 in the company's proposal.

3 Q. Okay. So just to -- just to confirm and then  
4 move on: The proposal associated with the use of  
5 the -- of the ADIT, just to short-cut that, it is  
6 not designed to have an impact to -- on the new  
7 excess generation compensation rate; is that  
8 correct?

9 A. That's correct because those customers, by  
10 definition, couldn't have been in service prior to  
11 the rate change. So they're not losing or gaining  
12 anything.

13 Q. With regard to the effective date of the new  
14 NMS2 tariff, how will the company determine on --  
15 how will the company determine who is and who is not  
16 falling under the new tariff, the NMS2?

17 Is it -- is it applications ending on January  
18 1st? Is it facilities in operation on January 13th?  
19 How are you -- how are you going to determine who is  
20 grandfathered under the NMS1 tariff and who is going  
21 to be falling under the NMS2?

22 A. I think I addressed this in discovery. It's  
23 not the company's choice. The law actually says the  
24 customer generators -- I can't remember the exact  
25 wording, but it's those that are operational --

1 again, if it's going in tariff changes on January  
2 14th, those customer generators that are operating  
3 their systems -- you know, are operational by  
4 January 13th, they are grandfathered under the law,  
5 as I understand it as a nonlawyer, and anyone who  
6 begins commercial -- or begins operation of their  
7 customer generating system on January 14th or after  
8 are tariff NMS2.

9 Q. And I'm not -- I'm not being flip about this.  
10 It's that -- I'm not clear is that when we use this  
11 term operational in terms of the company  
12 establishing a bright-line test or a metric, will  
13 the company -- does the company issue a customer  
14 certificate? Does the customer make some notation  
15 on the -- how does the customer know -- the customer  
16 and the company together know that the system is  
17 operational?

18 A. Well, the customer would need to have an  
19 approved application and they would have to provide  
20 the company with notice that their system is  
21 producing power, you know, as of that date. You  
22 know, I don't -- don't think there's going to be a  
23 lot of -- a lot of cases. You know, we're talking  
24 one day.

25 So I'm pretty sure that our distributive

1 generation group can -- can dig into that if there's  
2 any issues there.

3 Q. Okay. Well, I -- and the way things work,  
4 that's -- I understand what you're saying, but I --  
5 let's move on.

6 Is it correct, in general terms, that cost of  
7 service study contains information that's frequently  
8 used as the foundation for designing rates?

9 A. So cost of service is kind of generic, right?  
10 In this case we have a jurisdictional cost of  
11 service that we used to determine the overall Bevin  
12 requirement, and you have a class cost of service  
13 that, you know, functionalizes and categorizes costs  
14 and provides guidance as to what the assignment of  
15 those costs are to -- those costs in the proposed  
16 revenues are to the various customer classes at a  
17 higher level.

18 And yes, we -- we use all of those things when  
19 we are designing rates, but they are informative.  
20 They're not absolute.

21 Q. Well, in -- in response or in some of your  
22 prior testimony today, you were talking about costs  
23 of service and -- and you -- you're the one who did  
24 the testimony, but my notes said that, that it  
25 contains financial -- information of an accounting



1 and financial nature that helps you develop the --  
2 the proper amount to request.

3 Do you remember saying something along those  
4 lines in terms of describing cost of service?

5 A. Yeah, I did. In that instance, I am  
6 referring to section 5, schedules 1 through 5, what  
7 produces the requested rate increase in this rate  
8 case, you know, and schedule 4 and adjusted 5 --  
9 schedule 5 are a great example of that.

10 You have a listing of FERC accounts, and how  
11 those FERC accounts have cost revenues and assets  
12 and liabilities are allocated to Kentucky retail and  
13 how they affect the company's overall cost of  
14 service, the bottom-line rate increase in the retail  
15 jurisdiction.

16 Q. But in terms of the company's application  
17 section 5, Exhibit 1 -- and that's the  
18 jurisdictional cost of service -- it seemed as  
19 though you're also distinguishing that a bit from  
20 the notion of a class cost of service?

21 A. Yeah. Absolutely. Class cost of service has  
22 a bunch more -- you know, we step past the -- the  
23 financial and accounting just having -- having those  
24 -- large adjustment by that data, we get into a lot  
25 of, again, total class level detail.

1           We start -- just think of it as taking the  
2 jurisdictional cost service and slicing it thinner  
3 down to the classes and using that to attempt to  
4 assign cost responsibility and how we spread the  
5 revenue increase.

6           And then based on some of the information that  
7 comes out of that, we use that as an informative way  
8 of designing rates. It's not an absolute. If there  
9 was an absolute, it would be a \$20, \$25 energy -- or  
10 sorry. Kilowatt-hours here.

11           You know, you would have a 2 cent energy rate  
12 in the residential class, and everything else would  
13 be a demand and a customer base. That obviously  
14 isn't the case. It's the case in tariff IGS. So  
15 again, you know, it's informative.

16 Q.       Well, isn't it correct that for a utility  
17 such as Kentucky Power Company, not all customers  
18 have the same characteristics?

19 A.       That's exactly true for every utility. There  
20 is -- there is no two customers that are exactly the  
21 same all the time, and that's why rates are  
22 averages. And you -- you generally put customers in  
23 homogeneous groups when designing rates.

24           You know, look at general service, there's a  
25 great deal of different customers in that, same as

1 the residential class. You know, you have -- you  
2 have customers at various sizes of homes living in  
3 different areas, some with electric heat, some with  
4 gas heat, some with propane, some with different  
5 lighting investments, some that are customer  
6 generators.

7 Q. Well, I think you just answered three of my  
8 next questions, and we'll move to something that --  
9 that you may have partially answered, a fourth  
10 question.

11 So you -- it is your testimony that customers  
12 with distributed generation have different  
13 characteristics than customers without distributed  
14 generation?

15 A. Absolutely not. They're residential  
16 customers. Their usage patterns are -- on average,  
17 they are the same as every other residential  
18 customer. They have just made the decision to place  
19 generation behind their meters.

20 So that changes -- again, loads are the same  
21 on average, those characteristics are; however, now  
22 there's a net difference in terms of times of the  
23 day when the customer's generator is running.

24 Q. But -- and I don't want to belabor the point  
25 too much.

1           You're saying that they're the same except  
2 for -- they're the same except for the extent that  
3 they're different?

4           A.       Yeah, I'm not going to agree with you there.  
5 Their load in general is the same. It's no  
6 different than a customer that has a storage water  
7 heater. You know, they charge up something -- or  
8 any other time-of-use device.

9           You know, maybe someone has their pool heater  
10 running on a timer to change their load. Again,  
11 rates are averages, and their load is the same.  
12 Right?

13           They have just chosen to interject generation  
14 into their net billing, you know, because of  
15 whatever their -- their reason for doing so is.

16           Q.       In terms of rate design, in general terms  
17 again, is it correct that rates are designed to  
18 assign each customer class the portion of the  
19 company's revenue requirement to be collected from  
20 that customer class?

21           A.       That's kind of done before rate design,  
22 right? One, the general steps are you determine the  
23 overall revenue requirement for the jurisdiction.  
24 You then come up with some kind of revenue spread or  
25 cost assignment.

1           That's generally informed by the class cost of  
2 service. There's all kinds of detail there and how  
3 you spread the revenue, how you eliminate subsidies  
4 between classes, and then you -- then you design  
5 rates.

6           So rate design is more described as how you  
7 collect the class requirement from within that  
8 class.

9           Q.     Okay. And the record will speak for itself  
10 in terms of what that question was, but it's that  
11 the rates are designed again as -- I think as you're  
12 saying, that the rates are designed to collect from  
13 each class a portion of the company's revenue  
14 requirement?

15          A.     That's right.

16          Q.     Okay. So -- and you've touched upon this.  
17 There can be a difference between the portion of the  
18 company's revenue requirement assigned to the  
19 customer class through rate design as compared to  
20 the results of a cost of service study with regard  
21 to that particular class.

22          A.     Again, your question's a little off. We're  
23 not assigning class revenue requirements in rate  
24 design. We've already done that when we get to rate  
25 design. We're then deciding how to designate from

1 the class.

2 You've already determined what the class  
3 should pay. You're then determining rate design to  
4 collect that amount. You've already determined that  
5 amount.

6 Q. I think I understand that -- we're saying  
7 something in a different way, but I think I  
8 understand where you're coming from on that.

9 So in terms of your definition, a subsidy  
10 occurs when the revenue requirement for a customer  
11 class that's going to be collected through the rates  
12 is less than the revenue requirement for that  
13 customer class if the rates were based solely on the  
14 results of a cost of service study?

15 A. Yeah. So we -- in the class cost of service  
16 study, we determine what each class is earning, and  
17 then we look at what they would be earning if we  
18 equalized all the returns so. And the difference  
19 there is -- is considered an interclass study.  
20 Right?

21 So you have one class of customers paying more  
22 than they would in an equalized rate of return in  
23 lieu of another class paying that. So yeah, that's  
24 a subsidy. Correct.

25 And an intraclass subsidy happens when,

1 because of the rate design or other characteristics  
2 in that class, you have -- you have customers paying  
3 more within that class or less than their fair  
4 share, so inter and intra. Yes.

5 Q. So in your opinion, who benefits from a  
6 subsidy?

7 A. The party receiving it financially benefits.

8 Q. So other parties -- do parties other than the  
9 party receiving the financial benefit, do they gain  
10 any benefits from a subsidy?

11 A. Do you have a specific example?

12 Q. Just in general.

13 A. I'm not going to weigh in on that, no.

14 Q. Okay. Kentucky Power has proposed a specific  
15 rate design -- proposed specific rates to address an  
16 alleged subsidy. But do you have a distributive  
17 generation cost of service study that identifies  
18 that subsidy?

19 A. Two parts to your question there, and I  
20 reject the premise of it.

21 We're not just designing the cost of service  
22 rate for avoidance of a subsidy. It does help  
23 reduce a subsidy, but we're -- we are proposing an  
24 NMS2 and the avoided cost rate to comply with the  
25 new law in Kentucky for how net metering works.

1 Volumetric one to one net metering is no  
2 longer under the law as I understand it how net  
3 metering works. It states it is a financial netting  
4 of the dollar value of the customer generator's  
5 generation and the dollar value -- or the dollar  
6 charges for that customer's load, the cost to serve  
7 that. So that's the answer to the first part.

8 And can you repeat the second part of your  
9 question?

10 Q. Did you have a distributed generation cost of  
11 service study that's used as support for identifying  
12 any alleged subsidy?

13 A. Yeah. Absolutely we do. We provided all  
14 kinds of data on what that distributed generation is  
15 worth from a -- a load reduction standpoint. That  
16 is the cost of service. If you reduce one  
17 kilowatt-hour of load, what is it worth?

18 And you -- you know, that's included in my  
19 direct testimony, I think it's Exhibit 3, you know,  
20 where we come up with those -- those net -- the  
21 compensation rates, rate for energy, avoid capacity,  
22 and -- you know, energy adjusted for distribution  
23 losses and transmission losses, generation capacity  
24 value, and then avoided fixed transmission cost.

25 And that is then modified by the updates I



1 make in my rebuttal testimony, I think that's  
2 Rebuttal Exhibit R5 and R6, but that is exactly what  
3 that cost of that distributed generation is. It's  
4 cost of service.

5 Q. Okay. Well, with regard to part A of that  
6 question, I'm going to ask you to interpret a  
7 Kentucky statute.

8 In terms of a hypothetical question, for a  
9 group of customers paying an effective rate of 10  
10 cents per kilowatt-hour, if the cost of service  
11 study showed that the cost to serve that customer  
12 showed that it was 8 cents to serve that customer  
13 per kilowatt-hour, under your definition, does that  
14 create a subsidy?

15 A. So, again, hypothetically, if a customer is  
16 not paying its cost of service or it's being paid  
17 for for something that's more value than what it's  
18 worth. Yeah, generally, I'll agree that that's a  
19 subsidy, and -- yeah. I'll just leave it at that.

20 Q. Okay. And again, a very basic question:  
21 There can be a difference -- and frequently is --  
22 there can be a difference between average usage and  
23 peak usage; is that correct?

24 A. Yeah. There is. And, again, that has been  
25 incorporated in everything we've done in this

1 proposal and your residential rates, as well as your  
2 other rates, they are -- they are based on averages  
3 and billing units and test-year data to come up with  
4 that.

5 And to the extent that there's, you know, peak  
6 measures versus average measures in NMS2, we've  
7 compensated for that through the evaluation of the  
8 avoided-cost rate.

9 Q. Okay. With regard to the peak periods, is it  
10 fair to characterize the peak period as the period  
11 that corresponds with the highest usage on the  
12 customer's system -- excuse me, the highest usage on  
13 the company's system?

14 A. No. It's not. There's a lot of different  
15 peak measures.

16 For example, the company has to -- has to  
17 provide for a generation -- a generation capacity  
18 obligation based on PJM's peak, you know, so it's  
19 our -- our peak, the company's peak at the time of  
20 that, you know, we've had a lot of 1CP, 12CP talk  
21 here this week with transmission peak requirements.

22 And then you get down to the distribution  
23 system, and then -- then you're looking at like a  
24 class non-coincident peak. Again, at that point in  
25 time, for the company, at least, in the residential

1 class, a lot of months that is early in the morning  
2 as it is dark and cold, because we are an electric  
3 heating peaking company.

4 So you can't just say that it is a time from a  
5 cost of service standpoint and from a cost of  
6 service standpoint when the company's loaded at its  
7 highest because it has to be relative to something  
8 that causes cost.

9 Q. Well, if we go back to something that you  
10 said a little bit earlier in your testimony, you  
11 were discussing the -- I believe one of the things  
12 you identified was a pool heater. You're talking  
13 about time of use.

14 If a customer shifts load away from peak  
15 periods, is that one way that -- is that one way to  
16 lower peak usage?

17 A. Yeah. Again, like I said, it depends on what  
18 peak you're evaluating, if it's a distribution peak  
19 or an evaluation peak or a transmission peak, but  
20 yeah, that's the whole purpose of providing off-peak  
21 tariffs or off-peak plug-ins for our electrical  
22 vehicle charging payment tariff there, you know.  
23 We're providing a rate schedule there for customers  
24 to charge their -- their car off peak and those  
25 hours in that tariff to avoid additional fixed costs

1 on the, you know, cost-costing peaks.

2 Q. When you see someone -- and again, we'll go  
3 back to your example.

4 If you see someone who -- whether it's the  
5 charging -- the electronic charging of a vehicle or  
6 the heating of a pool, all other things equal, does  
7 that shift in usage lower the cost to serve that  
8 customer class if they're moving it away from peak  
9 usage?

10 A. No. Not necessarily. Again, it has -- it  
11 depends on if it's the cost-causing peaks. Right?  
12 You have peaks for cost allocation, and you have  
13 cost-causing peaks.

14 If you reduce a cost-causing peak, it saves  
15 the company's cost of service money, it's all -- all  
16 customers' money, and that -- that is what we have  
17 valued in the NMS2 of weighted cost rate.

18 And then when you get to class cost of service  
19 peaks, you do not avoid costs at that point. You  
20 simply shift costs. And I've addressed that at  
21 great length in the rebuttal testimony, and the  
22 Commission addressed that in the recent LG&E and KU  
23 special contract solar case, and I make reference to  
24 that too.

25 So it's a big distinction. You can't just

1 generalize there because there are certain peaks  
2 that when you shift them, dollars do not go away.  
3 They stay there. They just get pushed between  
4 classes.

5 MS. BLEND: Mr. Spenard, I don't mean to  
6 interrupt your cross-examination. I apologize.  
7 Your Honor, I just do want to note we have been  
8 going for about two hours since our last break, and  
9 it sounds like Mr. Vaughan needs to get some more  
10 water.

11 I was just going to inquire of Mr. Spenard  
12 about how much more cross-examination he thinks he  
13 has and suggest that perhaps we could do the break  
14 after his cross is concluded, unless he has, you  
15 know, a significant amount more. And I'm not trying  
16 to rush you, Mr. Spenard.

17 COMMISSIONER SCHMITT: Here's what I was  
18 going to do, was to recess until Monday when -- when  
19 Mr. Spenard completed his cross.

20 But if he has another 30 minutes or so of  
21 cross-examination, we might as well just recess now  
22 and come back because I expect that there will be  
23 several more hours of cross-examination of  
24 Mr. Vaughan before we're finished.

25 So, Mr. Spenard, how close are you to

1 completion?

2 MR. SPENARD: Mr. Chairman, I probably am not  
3 halfway through, unfortunately, and that's --

4 COMMISSIONER SCHMITT: Well, that's -- that's  
5 fine. I mean, everybody ought to take as much time  
6 as you need, complete your cross-examinations and  
7 all of that. But there's -- I mean, there's no  
8 point in going any further at this point.

9 So let's just -- let's just recess at this  
10 time, and then we'll come back into session at 9:00  
11 a.m. on Monday morning and keep plowing along until  
12 we're -- until we're finished. Okay?

13 So, Mr. Vaughan, you get rested up over the  
14 weekend. I suspect that --

15 THE WITNESS: Okay. Thank you.

16 COMMISSIONER SCHMITT: -- your celebrity  
17 status here has probably put you in the crosshairs  
18 of all of these lawyers. All right. We'll be in  
19 recess until 9:00 a.m. Monday morning. Thank you.

20 (PROCEEDINGS ADJOURNED AT 5:24 P.M.)

21 \* \* \*

22

23

24



25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF KENTUCKY            )  
  )  
  )    SS.  
  )  
COUNTY OF JEFFERSON        )

We, Laura J. Kogut and Dannielle Copeland,  
Notaries Public within and for the State at Large,  
with commissions expiring 25 July 2023 and 28  
September 2023 respectively, do hereby certify that  
the foregoing hearing was taken before us at the  
time and place and for the purpose in the caption  
stated; that witnesses were first duly sworn to tell  
the truth, the whole truth, and nothing but the  
truth; that the hearing was reduced by us to  
shorthand writing; that the foregoing is a full,  
true, and correct transcript of the hearing to the  
best of our ability; that the appearances were as  
stated in the caption.

WITNESS our hand this 22nd day of November  
2020.

  
\_\_\_\_\_  
Laura J. Kogut, RMR, CRR, CRC  
Notary Public, State at Large  
  
\_\_\_\_\_  
Dannielle Copeland, RDR, CRR  
Notary Public, State at Large