

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COMMONWEALTH OF KENTUCKY
BEFORE THE PUBLIC SERVICE COMMISSION

In the Matter of:

ELECTRONIC APPLICATION OF KENTUCKY)
POWER COMPANY FOR (1) A GENERAL)
ADJUSTMENT OF ITS RATES FOR ELECTRIC) CASE NO.
SERVICE; (2) APPROVAL OF TARIFFS AND) 2020-00174
RIDERS; (3) APPROVAL OF ACCOUNTING)
PRACTICES TO ESTABLISH REGULATORY)
ASSETS AND LIABILITIES (4) APPROVAL)
OF A CERTIFICATE OF PUBLIC)
CONVENIENCE AND NECESSITY; AND (5))
ALL OTHER REQUIRED APPROVALS AND)
RELIEF)

VOLUME V

Transcript of November 23, 2020, hearing
before Chairman Michael J. Schmitt at the Kentucky
Public Service Commission, 211 Sower Boulevard,
Frankfort, Kentucky 40602-0615, with Vice Chairman
Kent A. Chandler, Commissioner Talina R. Mathews,
counsel, and witnesses attending via GoToMeeting.

LAURA J. KOGUT, RMR, CRR, CRC
JENNIFER R. JANES, RPR, CRR, CRC
McLendon-Kogut Reporting Service, LLC
2525 Nelson Miller Parkway, Suite 204
Louisville, Kentucky 40223
(502) 585-5634
lkogut@mclendon-kogut.com
jjanes@mclendon-kogut.com
www.mclendon-kogut.com

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

	<u>Page</u>
Appearances	1237
Continued Testimony of ALEX E. VAUGHAN	
Continued Cross-Examination by Mr. Spenard	1241
Cross-Examination by Mr. FitzGerald	1294
Cross-Examination by Mr. Miller	1347
Examination by Vice Chairman Chandler	1362
Notary Certificate	1463

* * *

APPEARANCES

1
2
3 FOR KENTUCKY POWER COMPANY (Via Videoconference):
4 Mr. Mark R. Overstreet
5 Ms. Katie M. Glass
6 Stites & Harbison PLLC
7 421 West Main Street
8 P.O. Box 634
9 Frankfort, Kentucky 40602-0634
10 (502) 223-3477
11 moverstreet@stites.com
12 kglass@stites.com

13 and

14 Ms. Christen M. Blend
15 Mr. Tanner Wolffram
16 Mr. Hector Garcia-Santana
17 American Electric Power
18 1 Riverside Plaza, 29th Floor
19 Columbus, Ohio 43215
20 (614) 716-3410
21 cmblend@aep.com
22 tswolffram@aep.com
23 hgarcial@aep.com

24 FOR KENTUCKY ATTORNEY GENERAL (Via Videoconference):
25 Mr. J. Michael West
26 Mr. Lawrence (Larry) W. Cook
27 Mr. John G. Horne II
28 Commonwealth of Kentucky
29 Office of the Attorney General
30 Office of Rate Intervention
31 700 Capitol Avenue, Suite 20
32 Frankfort, Kentucky 40601-8024
33 (502) 696-5300
34 michael.west@ky.gov
35 larry.cook@ky.gov
36 john.horne@ky.gov

1 APPEARANCES
2 (Continued)

3 FOR KENTUCKY INDUSTRIAL UTILITY CUSTOMERS, INC. (Via
4 Videoconference):

5 Mr. Michael L. Kurtz
6 Ms. Jody Kyler Cohn
7 Boehm, Kurtz & Lowry
8 1510 URS Center
9 36 East Seventh Street
10 Cincinnati, Ohio 45202
11 (513) 421-2255
12 mkurtz@bkllawfirm.com
13 jkylercohn@bkllawfirm.com

14 FOR WALMART, INC. (Via Videoconference):

15 Mr. Barry Alan Naum
16 Ms. Carrie Harris Grundmann
17 Mr. Don C.A. Parker
18 Spilman Thomas & Battle
19 110 Oakwood Drive, Suite 500
20 Winston-Salem, North Carolina 27103
21 (336) 725-4710
22 cgrundmann@spilmanlaw.com
23 dparker@spilmanlaw.com

24 FOR KENTUCKY SOLAR INDUSTRIES ASSOCIATION, INC. (Via
25 Videoconference):

Mr. David E. Spenard
Mr. Randal A. Strobo
Strobo Barkley, PLLC
239 South Fifth Street, Suite 917
Louisville, Kentucky 40202
(502) 290-9751
rstrobo@strobobarkley.com
dspenard@strobobarkley.com

FOR MOUNTAIN ASSOCIATION KENTUCKIANS FOR THE
COMMONWEALTH KENTUCKY SOLAR ENERGY SOCIETY (Via
Videoconference):

Mr. Tom FitzGerald
Kentucky Resources Council
P.O. Box 1070
Frankfort, Kentucky 40602
(502) 875-2428
fitz@kyrc.org

1 APPEARANCES
2 (Continued)

3 FOR SIERRA CLUB (Via Videoconference):

4 Mr. Joe F. Childers
5 Ms. Bethany N. Baxter
6 Childers & Baxter
7 201 West Short Street, Suite 300
8 Lexington, Kentucky 40507
9 (859) 253-9824
10 joe@jchilderslaw.com
11 bethany@jchilderslaw.com

12 and

13 Mr. Matthew E. Miller
14 Sierra Club
15 2528 California Street
16 Denver, Colorado 80205
17 (517) 230-7420
18 matthew.miller@sierraclub.org

19 FOR SWVA KENTUCKY, LLC (Via Videoconference):

20 Mr. Michael A. Frye
21 Jenkins Fenstermaker, PLLC
22 P.O. Box 2688
23 Huntington, West Virginia 25726
24 (304) 523-2100
25 maf@JenkinsFenstermaker.com

FOR KENTUCKY PUBLIC SERVICE COMMISSION:

Ms. Nancy J. Vinsel
211 Sower Boulevard
P.O. Box 615
Frankfort, Kentucky 40602
(502) 564-39404
nancy.vinsel@ky.gov

ALSO PRESENT:

Ms. Candace Sacre, PSC Court Reporter

*

*

*

1 (Hearing commenced at 9:09 a.m.)

2 CHAIRMAN SCHMITT: Good morning. We are now
3 back on the record.

4 And I think when we recessed Friday
5 afternoon, Mr. Spenard, you were in the midst of
6 your cross-examination of Mr. Vaughan; is that
7 correct?

8 MR. SPENARD: Yes, Mr. Chairman. Good
9 morning.

10 CHAIRMAN SCHMITT: Good morning. Do you
11 still have questions of Mr. Vaughan?

12 MR. SPENARD: Yes, Mr. Chairman.

13 CHAIRMAN SCHMITT: All right. Ms. Blend, are
14 you with us, and is Mr. Vaughan ready to retake the
15 witness stand?

16 MS. BLEND: Yes, Your Honor, we're here and
17 we're ready to resume. Thank you.

18 CHAIRMAN SCHMITT: Thank you.

19 Mr. Vaughan, you remain under oath and
20 Mr. Spenard will continue his cross-examination.

21 All right. Mr. Spenard, you may continue.

22 MR. SPENARD: Thank you.

23 * * *

24

25

1 ALEX E. VAUGHAN, having been reminded of his
2 oath, testified as follows:

3 CONTINUED CROSS-EXAMINATION

4 By Mr. Spenard:

5 Q. And welcome back, Mr. Vaughan. In terms of
6 trying to get on the same page again from our
7 discussion on Friday, there can be -- in your
8 opinion, there can be a difference between average
9 usage and peak usage for a residential customer; is
10 that correct?

11 A. Yeah. Average is just the average amount
12 used over some period of time, the peak being the
13 most -- the highest amount used in some measure,
14 whether it's coincident, noncoincident, generation,
15 transmission, or distribution. It would be the
16 maximum figure versus an average.

17 Q. And in terms of aggregating the customers
18 together in a class, using your -- using your
19 discussion, there could be a difference between the
20 average usage for the class and peak usage for the
21 class; is that correct?

22 A. Could you say that again?

23 Q. In terms of aggregating the customers within
24 a class, when you aggregate their numbers together,
25 there can be a difference between the average usage

1 for the class and the peak usage for the class?

2 A. Of the individual customers in the class,
3 yes, but the average for the class and peak for the
4 class are just that, it's the figures for that
5 class, and you don't -- you don't aggregate
6 customers based on averages or peaks, generally.
7 Some industrial tariffs are load factor
8 differentiated, but generally you're taking
9 similarly-situated homogeneous customers, like all
10 the residential customers or all the small general
11 service or all the general service, and you're
12 putting those like customers in a class and then
13 using that as the basis for your class cost of
14 service.

15 Q. Okay. And again, that was -- that was
16 actually the question. We're talking about average
17 usage for the class and peak usage for the class.

18 Is there a peak associated with generation
19 production, for example?

20 A. Yes, as I -- as I mentioned, you have
21 generation production peaks. You have transmission
22 peaks. You have distribution peaks, primary and
23 secondary. I think that's most of them. And then
24 whether -- well, that's from the Company's
25 standpoint. And you also have PJM peaks that we

1 deal with. So there's a great, great number of
2 peaks that factor into cost causation and cost
3 assignment.

4 Q. Sure. And that's fine. And I think the
5 Commission wants to have a comprehensive record, and
6 some of your answers are really things that need to
7 be focused upon, if they need to be focused upon at
8 all, redirect. And for purposes of
9 cross-examination, let's at least just highlight or
10 try to stay focused on the particular question I'm
11 asking than to anticipate what I might ask, because
12 it might go a little -- it might go a little faster
13 that way.

14 In terms of definition, is it fair to
15 characterize the peak period as the period that --
16 for generation production, is it fair to
17 characterize the peak period as the period that
18 corresponds with the highest iteration production on
19 the Company's system?

20 A. No.

21 Q. Okay. And why not?

22 A. Well, it -- the generation peak is when the
23 Company's load is highest based on what is causing
24 the -- you know, well, what is the cost causer for
25 generation? You know, in our -- in the Company's

1 position, it would be the PJM summer 5CPs. It's not
2 when the most generation of the Company is running.
3 That's irrelevant. It's a matter of what causes
4 your generation capacity obligation or expense.

5 Q. Okay. Well, in that comprehensive view, to
6 the extent that the peak usage associated with that
7 capacity is in excess of average usage associated
8 with that capacity, does that reflect an increase in
9 the cost of service for that customer class?

10 A. Can you say it again? You're confusing me a
11 little bit with your peak and average discussion.

12 Q. Okay. Well, my understanding of what we've
13 been talking about is that if you take a look at a
14 customer class, if you look at their results for the
15 class, for whatever period of time, you're going to
16 have -- you put them all together and then you can
17 derive an average of what their usage is, their
18 average usage for the period, but then also, when
19 you look at that customer class, you might have a
20 period that the average -- sometimes there are
21 observations below the average, sometimes
22 observations above the average. There's going to be
23 an observation that's above that average that's the
24 peak; is that correct?

25 A. Yeah. By definition, the peak is higher than

1 the average, and the average takes into account all
2 hours in whatever period you're measuring.

3 Q. So when we're talking about the impact of
4 that peak, how -- what -- how that peak of the many
5 things that that peak will do, and it might do a lot
6 of different things, but is one of the things that
7 that peak will do, will it actually reflect an
8 increase in the cost to serve that customer class?

9 A. So it depends if you're -- if you're talking
10 marginally or from an incentive standpoint. It's
11 the basis for the overall cost, and it's only going
12 to be an increase in cost if the peak contribution
13 is large enough to cause the Company to have to
14 incur an additional incremental cost, whether that
15 be -- we're talking generation, so it might be we'd
16 have to go purchase some capacity from a sister
17 company or from the market or at an asset.

18 Then you can look at that from a marginal
19 standpoint, say, look, that that incremental peak
20 caused incremental cost. Otherwise your -- if you
21 are capacity sufficient from a generation standpoint
22 and you are evaluating the peaks, it's generally how
23 you are then spreading those costs, but it's the
24 basis for cost and causation.

25 Q. With regard to when a customer -- when a

1 customer in a class shifts load away from peak
2 periods, is that one way to lower peak usage within
3 that class?

4 A. Again, we have to go back to the discussion
5 we had on Friday. You have cost-causing, which is
6 in the overall revenue requirement. You know,
7 what -- are we avoiding something or are we adding
8 something from a cost standpoint? And then you have
9 to go look at cost assignment within the class.

10 And so when a customer reduces its peak
11 load -- again, we'll just stay with the generation
12 concept. If a customer reduces the 5CPs, there is
13 potentially a reduction in generation capacity cost
14 for the Company, either through, you know, a
15 reduction in cost, or maybe, if the Company is long,
16 it can make an incremental sale of length into the
17 market. So there's some value there. And so that's
18 from an overall revenue-requirement/cost-of-service
19 standpoint.

20 Then once you get into that class, there is
21 no reduction in cost. Once you've established the
22 total basis of cost of service for the Kentucky
23 retail jurisdiction, you're then just shifting costs
24 between customer classes. There's no actual
25 decremental cost in your example.

1 Q. And is that for -- is that for one period or
2 is that for the long term, over the long run of,
3 say, whether you're talking about -- is that going
4 to hold for the next month or does that hold for the
5 next 12 months or does that hold for the next 12
6 years? Are you saying that there's never going to
7 be any shifts within the class over any period of
8 time?

9 A. So your question mischaracterized my
10 statement. There will be shifts within the classes,
11 but you're not reducing overall costs. Once you
12 have reduced overall costs in the overall revenue
13 requirement, the overall cost of service -- we've
14 already established that in the ratemaking process.
15 Before we even move into the discussion of classes,
16 we're determining the total cost of service. And
17 what I'm saying is, when you have certain peak
18 reductions, you can lower the overall cost of
19 service, and that's what we've accounted for in our
20 avoided-cost rates in NMS II.

21 So then after you -- you get past that, you
22 have a total amount of cost of service, which
23 includes the value of those peak reductions. You
24 then go to the class stand -- the class state of
25 rate design and this whole process. And at that

1 point there's no further reduction in cost, there's
2 only shifting.

3 You know, in this case, the base rate revenue
4 requirement was \$70 million, if you look at the
5 Section 5 summary schedules. And so once you have
6 your \$70 million, which includes cost decreases from
7 load reductions, if they were on the peaks, that
8 70 million stays 70 million in the class study, it's
9 just a matter of how it gets shifted between the
10 classes to recover it.

11 Q. Will the cost of service change from year to
12 year and, in turn, from case to case?

13 A. Absolutely. And that's why we did the study
14 we did and proposed the avoided-cost rates that we
15 did. We're fully valuing those load reductions in
16 that.

17 Q. With regard to the test year, did Kentucky
18 Power Company use time-of-use meters for customers
19 receiving service under the Net Metering Service I
20 tariff?

21 A. No, we didn't. And kind of whatever happened
22 to the NMS I customers in the test year doesn't
23 really play into this, since they are grandfathered
24 under the Net Metering Act.

25 Q. Well, that's fine. With regard to the test

1 period, did Kentucky Power Company support the test
2 period with a demand study or otherwise develop a
3 load study for its customers taking service under
4 the NMS I tariff?

5 A. Yeah. It's in Mr. Stegall's -- excuse me.
6 Yes, it's in Mr. Stegall's work papers. Because
7 they are residential customers, they are part of the
8 residential class.

9 And as I discussed in my rebuttal, you do not
10 need to have a separate load research study for
11 every component of a class we have with -- you know,
12 to make just and reasonable rates. You know, we do
13 not do separate load research for RS-TOD, for load
14 management, water heating customers. We don't do it
15 for general service athletic fields.

16 You know, you do the major class, because,
17 again, all of those customers, the underlying loads
18 are roughly the same. They're not special just
19 because -- from a load standpoint, because they
20 chose some behavior other than or different from the
21 rest of the class.

22 Q. Well, perhaps we can wrap this up with
23 just -- this particular section, with just a few
24 more questions, then, just so I can confirm my
25 understanding. Kentucky Power -- did Kentucky Power

1 Company study when the distributed generation
2 delivery is going into -- from the NMS tariff
3 customers, when their distributed generation
4 delivery is moving into the Kentucky Power system as
5 compared to when the Kentucky Power system is
6 hitting its peak?

7 A. Bear with me for a moment.

8 Q. Sure.

9 A. So the answer to your question is yes. And
10 we looked at that both on -- in my direct testimony,
11 which would be AEP Exhibit 3 that shows the
12 residential customer -- residential class profile by
13 hour compared to the generation shape in the
14 Company's service territory for solar generation.
15 And that doesn't change. It's the same generation
16 shape there as it is across the state line in
17 Virginia as it is up in West Virginia. It's a
18 regional thing. The sun tracks across the sky in
19 roughly the same manner.

20 And then again in rebuttal, on R38, I point
21 you to down there on line 18, we do -- Kentucky
22 Power's affiliate directly across the state line in
23 Virginia actually was ordered to do a study with
24 full interval meters on it, its distributed
25 generation solar customers in the residential class.

1 And what that study and those graphs show is that at
2 the peak time, the load shapes are exactly identical
3 between the load -- between a net metering customer
4 and its other residential customer, as you would
5 assume, because they're all residential customers.
6 The only difference is when that system is putting
7 generation, you know, either netting out the
8 customer's load behind the meter or putting
9 generation back out into the Company's distribution
10 system. And again, that is what we've accounted for
11 in our studies and analysis here, and that's what
12 we've included in the avoided-cost rates of NMS II.

13 Q. For the NMS II tariff, will the proposal
14 incentivize distributed generation customers to
15 lower their cost of service, so lower the activity
16 that they have that's leading to any peaks in the
17 Kentucky Power system?

18 A. I don't -- I don't think so because it's the
19 same standard residential rate they would be paying
20 for their net load, you know, as any other
21 residential customer. So to the extent there is a
22 price signal there, it's the same for all
23 residential customers.

24 The incentives with NMS II would be for
25 customers to, you know, maintain and keep their

1 systems running, because they're being paid for
2 their excess generation beyond what is actually
3 netting their load behind their meter at a -- at the
4 avoided-cost rate. You know, that's -- that would
5 be the price signal in that tariff.

6 Q. So with regard to that price signal, what is
7 the effective rate that a distributed generation
8 customer would pay under the proposed NMS II tariff?

9 A. I have that. Just a moment. And so if you
10 look at Vaughan Rebuttal R41, starting on line 3,
11 there's a couple tables in here discussing what a
12 typical residential customer and system would see
13 and what a typical commercial customer in the DG
14 system would see. And so, like for residential, if
15 you follow across there, based on test year data, a
16 typical NMS bill would be \$35, where a standard
17 tariff for the same customer would be 166, and
18 then -- this is at proposed rates.

19 And then under NMS II, the customer would be
20 charged a hundred dollars for their usage, and they
21 receive a \$19 excess energy credit, so they would
22 have a net bill of \$81. So at 1,240 kilowatt hours,
23 they're essentially -- you know, they're paying, all
24 in, seven cents a kilowatt hour versus, you know,
25 closer to 11, 12 there under retail.

1 Q. Okay. With the proposed rollout of AMI, if
2 that is approved, how will the NMS II tariff be
3 impacted by the rollout of AMI?

4 A. Well, I don't think it would be impacted at
5 all right now. I mean, whatever the Commission
6 approves would be in place until the Company came in
7 and had another rate case. At that time you could
8 consider changes to whatever is approved at that
9 time. You know, the -- to leverage more off the AMI
10 meters or -- I mean, it's just metering. We have to
11 meter the customers. So whatever our prevailing
12 meter technology is, NMS II customers will have
13 that.

14 Q. And -- okay. And just perhaps one more
15 question on that. If the AMI proposal is approved,
16 will that provide Kentucky Power Company with
17 additional data associated with customers receiving
18 service under the NMS II tariff?

19 A. Oh, certainly. It'll provide all customers
20 more data, as Mr. Blankenship and Mr. West have
21 discussed previously.

22 Q. Okay. On pages 40 and 41 of your prefilled
23 direct testimony, you discuss, among other things,
24 an Economic Development Rider, EDR; is that correct?

25 A. Yes, sir.

1 Q. Okay. And we have supplied Commission Staff
2 with an exhibit from the application. This is
3 Application Section III, Volume 1, Vaughan Direct
4 Exhibit AEV-9.

5 MR. SPENARD: And we would ask, if possible,
6 if the Commission Staff could have that displayed on
7 the screen.

8 MS. VINSEL: Mr. Spenard, this is Ms. Vinsel.
9 I want to make sure that -- could you tell me again,
10 this is an exhibit to Mr. Vaughan's direct
11 testimony?

12 MR. SPENARD: Yes, it is. And it's the --
13 the document page -- if that's helpful, the document
14 page from Section III, Volume 1 of the application,
15 the document page is 296 of 359.

16 MS. VINSEL: Okay. Ariel, we're looking
17 at -- oop. Thank you, Ariel. Ariel, is this -- is
18 this Document Number 8, which would include
19 Mr. Vaughan's direct testimony?

20 THE WITNESS: The very last exhibit attached
21 to my direct testimony.

22 MR. SPENARD: There. Okay. Thank you.

23 Q. And I have just a few questions about this
24 exhibit. Beginning at line 18 of page 40 of your
25 direct testimony, you state, in pertinent part,

1 (Reading) The marginal cost of service analysis
2 shows that the Company's sole EDR customer is
3 covering its variable cost of service and
4 contributing to the Company's fixed cost of service
5 while taking service under the discounted EDR rates.

6 Are you -- and if you want to take a second
7 to look at that discussion, again, it's page 40 of
8 your direct testimony beginning at line 18, the
9 answer beginning at line 18.

10 A. I'm familiar with it.

11 Q. Okay. And in support of your testimony, you
12 provided Exhibit AEV-9, and it contains information
13 that's relevant to that discussion in your direct
14 testimony; is that correct?

15 A. Yeah, that's correct. This is a -- it's
16 actually a requirement of the EDR tariff. When we
17 come in for a base rate case, we have to show the
18 Commission that any EDR customer incremental load
19 is -- you know, existing discounted under the EDR
20 tariff, that it is, from a marginal cost standpoint,
21 actually contributing more to the fixed cost
22 recovery.

23 So to say that in a more summarized manner,
24 by adding the EDR load, we're lowering overall cost
25 of service, and that's what this exhibit shows.

1 Q. Well, then in terms of your answers, and I
2 apologize for parsing words, did you say that it's
3 contributing more to the fixed cost, or did I
4 misunderstand that?

5 A. Sorry. It should be contributing more to
6 fixed cost recovery, recovering its variable cost,
7 and then it is making a contribution to existing
8 fixed costs that other customers would otherwise be
9 paying.

10 Q. Okay. Thank you. And I apologize if that --
11 the question was a little quirky on that point.

12 In terms of looking at the exhibit, the
13 marginal cost of energy is \$417,131; is -- am I
14 reading that correctly?

15 A. Yes. It's kilowatt hour consumption times
16 LMP, correct.

17 Q. So the marginal cost of distribution in the
18 next section is given as \$29,405; is that correct?

19 A. That's correct. We had to do distribution
20 work to connect the customer to the system, so that
21 work order totaled the \$267,000. Then we applied a
22 levelized carrying cost factor to that, you know,
23 roughly equivalent to the useful life of that
24 equipment, coming up with an annual revenue
25 requirement of 29,405.

1 Q. The incremental revenue that's listed on the
2 next-to-last line, the customer incremental revenue
3 amount is listed at \$978,909. Do you -- do you see
4 that?

5 A. Yes, sir.

6 Q. Okay. So then the net revenue amount,
7 \$243,476. And with regard to that amount, does that
8 amount represent a contribution to the Company's
9 fixed cost of service?

10 A. Yeah. So what's going on here is, we're
11 totaling up all of the -- we're looking at this from
12 a purely marginal standpoint, so basically what do
13 we look like without this customer and what do we
14 look like with this customer.

15 So by adding this load, even at a discounted
16 rate, all other customers are better off by, you
17 know, a little over -- roughly a quarter of a
18 million dollars there annually because we incur
19 \$735,000 in incremental costs and we gained 978,000
20 in incremental revenue.

21 Q. In terms of that -- in terms of that portion
22 associated with the fixed cost, is the amount of
23 contribution to the fixed costs greater than, equal
24 to, or lower than the contribution to the Company's
25 fixed cost of service that the customer would

1 otherwise pay in absence of the EDR?

2 A. Could you say that one more time?

3 Q. In terms of the contribution to the fixed
4 cost, is the contribution to the fixed cost greater
5 than, equal to, or lower than the contribution to
6 the Company's fixed cost of service that the
7 customer would otherwise pay in the absence of the
8 EDR?

9 A. Yeah. So while it is recovering, it's --
10 (Feedback).

11 A. Sorry, a little feedback.

12 Yeah. So it is covering its incremental
13 fixed cost and variable costs, then making an
14 additional fixed cost contribution. Because the EDR
15 rates are discounted under standard tariff, this
16 customer would have paid more over the discount
17 period, which, you know, could be five and up to ten
18 years, depending on the EDR contract.

19 The point you have to look at here, though,
20 from the EDR standpoint is, we're using this
21 economic development tariff to try and add more
22 billing units to the Company's service territory to
23 lower everyone's rates, and that's important from a
24 Kentucky Power standpoint, from a community
25 standpoint, from everyone's rate standpoint.

1 And the opposite is true when we look at our
2 NMS customers, where you're starting with someone
3 who is contributing at full retail rates, then they
4 add something, the distributed generation, which
5 reduces revenues more than it reduces the costs that
6 you avoid. So it's a big difference between what
7 we're looking at in a MATS and what we're looking at
8 in EDR.

9 Q. Okay.

10 A. It's the exact opposite.

11 Q. And when you say "the exact opposite," is it
12 your testimony that the EDR results in a subsidy?

13 A. See, that's a hard one to say, because
14 they -- the customer -- the EDR customer is paying
15 less than it would under standard tariff, but, but
16 for the EDR, they may not have sited with us, so it
17 would -- everyone would be worse off by \$243,000 in
18 this example.

19 MS. VINSEL: Chairman.

20 A. That's a hard one to decide there. You know,
21 if it's -- and that's why the economic development
22 efforts are what they are.

23 MS. VINSEL: Chairman. Chairman.

24 A. If the customer was just going to show up in
25 standard tariff, that's great, and maybe they site

1 for some other reason, but if they are price
2 sensitive and they need -- they need a discount to
3 maybe get their operations going in the first year,
4 the first couple years. You know, tools like this
5 help attract new loads, and it's hard to call that a
6 subsidy if it's actually making everyone else better
7 off by them being there --

8 CHAIRMAN SCHMITT: Okay. Mr. Spenard --

9 A. -- from a financial rate standpoint.

10 MR. SPENARD: Yep. Yes, Mr. Chairman.

11 CHAIRMAN SCHMITT: Can we stop just a second?
12 There's a -- I think, a problem hearing, and it may
13 be based on feedback from some source --

14 MR. SPENARD: Yes, Mr. Chairman.

15 CHAIRMAN SCHMITT: -- which we don't know at
16 present; is that correct?

17 MS. VINSEL: It -- I just wanted to -- this
18 is Ms. Vinsel. Ms. Blend, there's a certain amount
19 of feedback coming through on Mr. Vaughan's
20 testimony that makes -- it resolves itself over
21 time, but it makes it hard to hear parts of his
22 responses.

23 MS. BLEND: Okay. Our setup today is the
24 same that -- as it has been technologically for the
25 entire hearing. Is it possible that there's someone

1 who has joined by phone who has not muted themselves?

2 MS. VINSEL: That is quite possible. I'm
3 going to ask that everyone who is not either counsel
4 for Kentucky Power -- excuse me, counsel for
5 Kentucky Power, Mr. Vaughan, or Mr. Spenard, please
6 mute your connections, your audio.

7 Chairman. Why don't we try it again,
8 Chairman?

9 CHAIRMAN SCHMITT: Okay. You may continue
10 with your, either answer, Mr. Vaughan, or your
11 question, Mr. Spenard, and let's see if maybe the
12 problem has been resolved.

13 MR. SPENARD: Okay. Mr. Chairman, I believe
14 that Mr. Vaughan had completed his answer, but in
15 case he hadn't, I'll allow him to finish, or
16 otherwise I'm ready to move on to the next question.

17 CHAIRMAN SCHMITT: Let me ask, Mr. Vaughan --

18 THE WITNESS: I was done.

19 CHAIRMAN SCHMITT: -- have you completed your
20 answer, or do you have -- please go ahead and
21 complete your answer if you need to.

22 THE WITNESS: I was done, Your Honor.

23 CHAIRMAN SCHMITT: Okay. Thank you.

24 All right. Mr. Spenard, then we're ready for
25 your next question.

1 MR. SPENARD: Yes, sir.

2 Q. I want to talk for just a few minutes
3 hopefully, about residential fixed charges. And
4 again, in just very simple terms, for a residential
5 customer, is part of the bill -- and there are a lot
6 of billing elements that go into a residential
7 customer's bill; is that correct? Fuel
8 adjustments --

9 A. Yeah, there's a number -- yeah, there's a
10 number of surcharges and riders and whatnot that
11 apply to all customers' bills.

12 Q. What I'd like to focus on is the calculation
13 that's going to be associated with the customer
14 charge, fixed -- the customer charge and then the
15 variable, which is the energy charge. Okay?

16 A. Certainly.

17 Q. All right. So the total bill for a
18 residential customer for this portion will comprise
19 a fixed charge amount, and it's going to be combined
20 with a variable charge amount associated with the
21 amount of energy used by that customer; is that
22 correct?

23 A. I think we -- I don't know if it was with you
24 or someone else, but on Friday we discussed that
25 there's really three categories of charges. You

1 have a fixed basic service charge, you have energy
2 charges, and then you have percentage of revenue
3 riders, such as the environmental surcharge and the
4 decommissioning rider. But yes, it's heavily
5 weighted towards energy.

6 Q. Okay. For the residential class, Kentucky
7 Power is seeking to increase both -- the increases
8 that Kentucky Power is seeking will stand to
9 increase both the fixed portion of the residential
10 bill as well as the variable portion of the
11 residential bill; is that correct?

12 A. Yes, sir. The two -- the two proposals in
13 concert would maintain that roughly 90 percent of
14 the bill would be volumetric.

15 Q. And among other things, your rebuttal
16 testimony addresses fixed charges, and specifically
17 I'm looking at pages 16 and 17 of your rebuttal
18 testimony.

19 A. I am there.

20 Q. Okay. And in terms of the rebuttal
21 testimony, is it true that there has been a
22 reduction in normal (audio lost) Virginia and
23 Kentucky, even as the fixed charge has increased?

24 MS. BLEND: Mr. Spenard, I don't know if it
25 was on our end or your end, but your computer froze

1 and we didn't catch all of your audio. Would you
2 mind repeating your question?

3 MR. SPENARD: Oh. And thank you. And
4 anytime there's an issue, just tell me and I'll
5 repeat the question. And I'm looking at
6 Mr. Vaughan's rebuttal testimony. We're at pages 16
7 and 17 of the rebuttal.

8 Q. And the question is of whether it's true that
9 there has been a reduction in normalized residential
10 usage in (audio lost) as the fixed charge has
11 increased?

12 A. You kind of froze again there. So is the
13 question that has there been a reduction in average
14 normal usage over the same time that the basic
15 service charge has been increasing in West Virginia
16 and Kentucky?

17 Q. Yes, Mr. Vaughan.

18 A. Yes, as the graph --

19 Q. (Indiscernible).

20 A. -- on page -- as the graphs on page 16, R16
21 and R17 show, you know, over the same period of
22 time, the basic service charge has been increasing
23 on residential customers' bills. The average
24 residential customer usage has been declining.

25 Q. Okay. Does American Electric Power have

1 operations in Virginia?

2 A. Yes, sir.

3 Q. Okay. And this will be -- and we'll reduce
4 it to writing as necessary, but as a post-hearing
5 data request, KYSEIA would like for Kentucky Power
6 to provide an illustration for Virginia Power,
7 similar, the same format, same time period as the
8 figures AEV-R1 and AEV-R2 appearing on pages 16 and
9 17 of the rebuttal testimony.

10 A. Well, we can certainly do that, but I can --
11 I can maybe help short circuit that a bit. The
12 customer charge, the basic service charge there has
13 been the same for over a decade, and you see the
14 exact same usage pattern, so it kind of makes my
15 point that customers are not, you know, using more
16 or less energy based on the basic service charge
17 level, they're using based on their lifestyle and
18 weather patterns. And when you take weather out of
19 it, you get this normal average -- you're getting a
20 lessening of average residential load over time.

21 Q. Okay. And I appreciate the comprehensive
22 response, and that will certainly help, but with the
23 data request, we're going to ask, but do appreciate
24 the explanation.

25 In terms of --

1 A. I just wanted to let you know that it's a
2 straight line. There's been no increase in the
3 service charge in that jurisdiction.

4 Q. Okay. Well, that's helpful, and I appreciate
5 the information.

6 In terms of energy efficiency reductions that
7 you identify in your rebuttal testimony, if you
8 know, is any of the change attributable to
9 progressively increasing appliance energy efficiency
10 standards?

11 A. Well, I think it's -- you know, when I talked
12 with our team that monitors load and for forecasting
13 and just general economic purposes, that's a lot of
14 what they say is what -- what we would call latent
15 EE, where it's household appliances and other things
16 that you use in your normal life just becoming more
17 energy efficient over time, such as, you know,
18 people going from the incandescent light bulb in
19 general to maybe CFLs, and then now maybe LEDs, you
20 know, there's a reduction in energy usage, you know,
21 based on those common technologies.

22 Q. In addition to common technologies, are
23 building codes having any impact on the energy
24 efficiency reductions?

25 A. They could.

1 Q. Okay. Do you recall discussing caulking in
2 your rebuttal testimony?

3 A. I did. I think it's on R16. I'm sorry, R18.

4 Q. Okay. For caulking, in your opinion, do you
5 consider caulking a significant long-term investment
6 in energy efficiency?

7 A. Well, I don't know if you've ever gotten that
8 stuff somewhere it shouldn't be, but it tends to
9 stay forever. So I'm not sure about how -- a term I
10 would quantify it as, but the example where I use
11 caulking, because it's a common weatherization,
12 energy efficiency measure, is just to provide that
13 simple payback example. And the same -- the same
14 simple payback math works out for more substantial,
15 longer, whatever term, investments you're making in
16 energy efficiency. The math's the same.

17 Q. Well, in terms of an example of that longer
18 term -- that longer term effort, would a more
19 efficient HVAC unit be an example of one of those
20 longer-term steps for energy efficiency?

21 A. Certainly. And it would have a much higher
22 up-front cost, and so generally a longer payback,
23 but the difference in payback is the same. It's --
24 this example is done in a vacuum, and the Company's
25 proposal in terms of the basic service charge does

1 not affect the binary decision of whether you do or
2 don't do an energy efficiency measure.

3 Q. Does AEP study the price elasticity of demand
4 among its customers?

5 A. I do not, and what I have generally observed
6 is they are more -- they're more correlated to
7 weather than they are price, especially in our
8 Appalachian jurisdictions that have a high electric
9 heat penetration, and then again, air-conditioning
10 in the summer.

11 Q. With regard to electric heating customers,
12 you mention electric heating in your rebuttal
13 testimony, pages 19 and 20; is that correct?

14 A. I do.

15 Q. Okay. When are Kentucky Power Company's
16 winter peaks?

17 A. When customers are using their electric
18 heating. And the distinction is that that's a
19 distribution peak versus a cost-causing generation
20 or transmission peak. So, yeah, it's factored into
21 the distribution cost of service, right? We have
22 to -- Mr. Phillips builds his distribution grid to
23 handle that peak electric heating load that's
24 between 6:00 a.m. and 8:00 a.m. on a, you know,
25 January or February morning where it's very cold and

1 dark and customers are waking up and heating their
2 homes before they start their day, right? Versus,
3 you know, as we discussed earlier, you have
4 generation cost-causing peaks in the summertime,
5 which electric heat -- you know, PJM's July -- June,
6 July, August, September, five highest peaks, which
7 occur in the afternoon because of air-conditioning
8 load, so obviously electric heating is not
9 contributing to those.

10 Q. What percentage of the Company's residential
11 customers use electric heating?

12 A. It's over 50 percent. I think the exact
13 number is in one of my many pages of testimony
14 somewhere, if not in a discovery response, but
15 it's -- I want to say 61 percent. I know it's over
16 50.

17 Q. Okay. Hypothetically, if Kentucky Power had
18 no electric heating customers, what impact would
19 this have on peak loads for the winter peaks?

20 A. I don't think I can answer your hypothetical.

21 Q. Well, I'll take one step back, perhaps. If
22 Kentucky Power had no electric heating customers,
23 would that have an impact on the peak loads for the
24 winter peaks?

25 A. So you're saying if we didn't have a load,

1 would it -- would the peak be less?

2 Q. If you didn't have electric heating
3 customers, would that have an impact on the peak
4 loads for the winter peaks? Not trying to quantify
5 what the effect would be but whether or not there
6 would be an effect.

7 A. Well, again, hypothetically, yes, if
8 they're -- if no one was heating in the wintertime,
9 all other things being equal, loads would be less in
10 the wintertime. And again, that wouldn't affect
11 the, you know, generation or transmission costs, but
12 it would -- it would theoretically -- and again, in
13 your hypothetical here, it would change how
14 Mr. Phillips designed the distribution system to
15 serve those customers.

16 Q. So with regard to the change in design under
17 the hypothetical, would that cause a lower or a
18 higher or no impact to the allocation of cost to the
19 residential class?

20 A. Again, you gotta differentiate between
21 causing of costs and allocating costs. Let's --
22 again, purely hypothetical, we could use smaller --
23 I don't even know if this is true, if smaller
24 transformers cost less, but theoretically for this
25 hypothetical, because we have no electric heat all

1 of a sudden, Mr. Phillips used smaller, less
2 expensive primary and secondary distribution
3 transformers to design some distribution radials, so
4 you there would have a reduction in overall cost of
5 service, again the revenue requirement. Our plant
6 service would go down. The return noncomponent of
7 that would be less -- depreciation expense is less.

8 So the total pie which you need to split up
9 is smaller. However, you can't really say how that
10 affects the allocation of that cost, because other
11 customer classes use distribution equipment as well,
12 and it's all -- cost allocation is your peak
13 relative to everyone else's peak relative to the
14 peak you're measuring. So you can't definitively
15 say whether it is less cost to the residential class
16 or not. Under your -- the hypothetical, there's
17 less cost overall because, again, I made up
18 something that those transformers cost less now.

19 Q. With regard to the shifts that would take
20 place with regard -- with regard to what happens
21 when customers shift their loads away from peak
22 hours, and I apologize because you've -- we've asked
23 this question a little differently previously, but
24 with regard to what takes place when customers shift
25 their loads away from peak hours, does that impact

1 the cost-of-service study?

2 A. So again, if it's a cost-causing peak and
3 when you're saying cost of service, you're saying
4 total cost of service, like what is the revenue
5 requirement, yes. And that's what we've studied in
6 this rate case and the avoided-cost rates for
7 NMS II, it's what we've looked at in the Company's
8 proposed DRS tariff, and it's what we looked at in
9 the AEV Exhibit 9 on that marginal cost-of-service
10 study for the EDR customers. So yes, there are
11 certain peak load reductions that have value, and
12 we've quantified those and we've included them in
13 the applicable tariffs.

14 You know, back to your hypothetical, does it
15 actually change how costs are allocated, you can't
16 say because, you know, if you change that peak, the
17 peak hour may change, so the same customer may get
18 caught up in it later where their behavior is
19 different.

20 You see that -- you know, again, like if we
21 don't have electric heating load in the
22 hypothetical, the distribution peak isn't going to
23 be at 6:00 a.m. anymore, it's going to be some other
24 hour, and who knows what the customer that now isn't
25 hypothetically an electric heating customer, what

1 their load is at that time. You just -- you just
2 can't say.

3 Q. Okay. For the NMS II tariff proposal, is the
4 market value, as you use that phrase, is that a
5 long-term projection of value?

6 A. So I don't like the term "value," because,
7 you know, it's either cost or it's revenue when
8 we're looking at things. Value gets too many
9 qualitatatives into it.

10 The test year study I did to show kind of
11 that independent power producer view of what a DG
12 system is worth from a revenue standpoint is a test
13 year, test year analysis, but that -- so, I mean,
14 it's not a long-term revenue study.

15 Anything -- you're looking out on commodity
16 prices, you do anything long-term, it's very
17 speculative, you know, because you get a lot of -- a
18 lot of different opinions as to what commodities
19 will be, you know, next year versus ten years down
20 the road.

21 Q. Well, with regard to cost and revenues
22 associated with these projections, does the NMS II
23 tariff proposal, does it -- does it incorporate or
24 otherwise attempt to capture the change to
25 ratepayers for, say, decreased utility investments

1 over time?

2 A. Yes. It absolutely does. I discussed this
3 in my direct and my rebuttal. We've incorporated
4 the reduction in generation capacity costs, the
5 reduction in allocated fixed transmission
6 infrastructure costs, the avoidance of distribution
7 line losses, of course, energy transmission losses
8 that go with the marginal cost of energy. That's
9 all been incorporated.

10 Q. For planning purposes, does Kentucky Power
11 Company base its investments on the short-term
12 market cost of capacity, or does it consider
13 long-term costs for various options for meeting its
14 load requirements?

15 A. Yeah. So if you're looking at whether you're
16 going to add the next increment of capacity or not,
17 that's an IRP-type study, and, yeah, you evaluate
18 the entirety of the investment horizon that you're
19 looking at to find the theoretical least-cost option
20 for all customers.

21 And that's distinctly different from what's
22 going on in NMS II, because you have -- you have
23 something that's come onto the grid and it's caused
24 a load reduction, and the value of that is what it
25 is. The Company is capacity sufficient, and thus --

1 therefore, the incremental value is either zero or
2 it's the value of what the next sale of link we can
3 make is. And the same is true in the Company's DRS
4 proposal, where we're valuing the -- what an
5 increment of load reduction is worth, and what you
6 would pay someone to interrupt their load. So it's
7 completely consistent.

8 Q. If Kentucky Power Company invests in
9 utility-scale solar, would the Company earn money
10 based only on its PJM costs, sale of capacity in
11 PJM, or would it earn based upon its fixed
12 investment cost of the resource?

13 A. Yeah. Again, we're -- the Company is a
14 regulated utility. A customer putting DG on his
15 house is not a regulated utility. So, yes, we --
16 the construct here is we make an investment, as
17 approved by the Commission, and in terms of that --
18 and when we do that, we earn a return on our
19 investment, return on our investment, and we pass
20 through our costs of operating said investment, the
21 generation facility like utility-scale solar. You
22 know, and part of the evaluation of whether you make
23 that investment or not is you're going to stack it
24 up against other supply-side and demand-side
25 resources to see if it is the least-cost investment.

1 And yeah, I can -- I can tell you it would
2 not come in at ten cents a kilowatt hour like what
3 we're paying customers during the test year for DG
4 net metering. That would not be the least cost of
5 our options.

6 Q. Well, if energy prices were to fall, would
7 Kentucky Power's return on investment in
8 utility-scale solar, would that return also fall?

9 A. The Company's investment would not change
10 because of commodity prices, because there's no --
11 or there's no fuel component to solar. But the
12 thing to remember there is that customers' bills
13 also fall during that period because the overall
14 supply of energy became cheaper. The construct is
15 cost of providing service plus a reasonable return.

16 Q. With regard to Kentucky Power Company's
17 capacity, is it sufficient throughout the time frame
18 of its current integrated resource plan?

19 A. I am not in the IRP case, luckily, but no. I
20 mean, I think you're looking out 30 years and, you
21 know, after the Rockport unit goes away, Rockport
22 Unit Power Agreement goes away in December of 2022,
23 I think there is a deficiency, and that's part of
24 what they're discussing in that docket.

25 Q. Well, and you've stated you're not in the IRP

1 case, and so if this isn't a question that you can
2 answer, then that's fine, but I'll go ahead and ask
3 it just to see if you do have the knowledge. Does
4 Kentucky Power's plan for its preferred plan and its
5 most recent integrated resource plan consider future
6 carbon costs, if you know?

7 A. Don't know.

8 Q. Okay. In your opinion -- if you have one, in
9 your opinion -- well, let me ask this question: Are
10 you aware of AEP's vision or strategy with regard to
11 future carbon costs?

12 A. I don't (indiscernible) in terms of carbon
13 cost, but I'm aware of what Mr. --

14 (Feedback).

15 CHAIRMAN SCHMITT: I don't know.

16 A. -- Mr. Mattison discussed earlier this week,
17 or I guess last week, about the aspirational goals
18 of the Company, AEP in general. And I did address
19 carbon costs in my rebuttal testimony, in as when
20 there is a carbon cost -- and the Company doesn't
21 currently have a financial cost of carbon, but when
22 there is one, whether it's through some sort of a
23 load-based cost or tax or is included in the PJM LMP
24 through a carbon adder, that, you know, it's my
25 proposed -- you know, I think it would be consistent

1 that the extended effects load or LMP prices, that
2 NMS II customers would receive that. But to include
3 that in the actual avoided-cost calculation before
4 anything exists I think is a bit premature.

5 Q. If customer-sited solar grows less under the
6 NMS II proposal, will Kentucky Power's cost for
7 carbon emissions increase?

8 A. Can you repeat that? I didn't get the first
9 part.

10 Q. Okay. I'm sorry. If customer-sited solar
11 grows less under the NMS II proposal, if it's
12 approved, will Kentucky Power's cost for carbon
13 emissions increase?

14 A. Well, you can't really say because you don't
15 know what the basis for carbon costs are going
16 forward. I mean, an example of that would be, look
17 across the state line into Virginia, where
18 Virginia's joining the Regional Greenhouse Gas
19 Initiative, or RGGI, and they are going to pay --
20 Appalachian Power is going to pay a cost based on
21 its Clinch River gas plant source. So you're going
22 to pay a carbon cost there. It doesn't matter what
23 the load is. So it's source based.

24 So you can't really say, whatever happens
25 with DG solar, it goes up, it goes down, if it has

1 any sort of impact on any actual out-of-pocket
2 carbon costs, because you don't know what the
3 construct is. We don't have a construct of what's
4 in Kentucky now.

5 Q. And I'm not -- I'm not asking for a legal
6 opinion on this; I'm asking for your understanding
7 as an expert in utility ratemaking.

8 In your view, does the Kentucky Public
9 Service Commission have the ability to adopt a
10 reasonably common approach for net metering the same
11 as it does for many other facets of ratemaking?

12 A. My nonlegal, simple-ratemaking-guy opinion is
13 that the Commission has the ability to -- you know,
14 within the scope of the underlying statute, to apply
15 that statute. They're delegated authority to do so
16 in balancing the interests of customers and the
17 Company and all included parties. So, you know,
18 they can -- they can do what they're within their
19 rights to do.

20 Q. Okay. For Kentucky Power Company, does it
21 allocate its primary distribution costs based upon
22 12CP?

23 A. Yes.

24 Q. Okay. So summer contributions to peak load
25 contribute to lower cost allocation to the

1 customer's respective class; is that correct?

2 A. Not necessarily. You know, as we've
3 discussed several times, you can't look at just one
4 thing in isolation in a class cost-of-service study,
5 right? Because you have -- you have a number.
6 Again, in this case it's 70 million that's getting
7 allocated, and some of that could be allocated away
8 for a peak reduction of one class and allocated
9 right back to that class from peak reduction in a
10 neighboring class.

11 So when you're talking primary distribution
12 costs, those are only being allocated amongst the
13 commercial and residential classes. And so to the
14 extent you have -- and I assume we're talking about
15 net metering here, so to the extent you have a
16 customer system reducing a peak in the summer 12CP
17 primary distribution peak in general service and
18 residential, you just push the two costs back and
19 forth and they don't go anywhere. It's the same
20 pie, it's just how you split it. There's no
21 reduction.

22 Q. Okay. And if you know, does the NMS II
23 proposal contain any price signal that would
24 incentivize the use of battery storage to mitigate
25 morning peaks in the residential class?

1 A. Yeah, I think I discussed that in my rebuttal
2 testimony that -- you know, in response to Mr. Owens
3 saying that it is a -- NMS II's incentivizing people
4 to move their load on peak, and NMS II is not
5 providing a price signal by -- it's potentially
6 providing a price signal for customers to more
7 closely match their customer-generation profile with
8 their load profile. One way to do that would be
9 through energy storage.

10 Q. And then I'm going to ask you some questions
11 regarding the Kentucky Power Company's residential
12 time-of-use tariffs. And hopefully we can do this
13 without -- hopefully we can do this without asking
14 them to be pulled up. But in terms of the schedule
15 RS-TOD, will you accept, subject to check, that it
16 has an on-peak period of 7:00 a.m. until 9:00 p.m.
17 on weekdays? Does that sound correct?

18 A. That's correct, yeah.

19 Q. Okay. And the daytime netting period
20 proposed under NMS II is from 8:00 a.m. to 6:00 p.m.
21 on weekdays; is that correct?

22 A. Yeah, that's correct.

23 Q. So with regard to the daytime netting period,
24 it's entirely within the peak period on weekdays; is
25 that -- is that correct?

1 A. Can you say that again?

2 Q. With regard to the daytime netting period
3 under NMS II, that period falls entirely within
4 the -- entirely within the on-peak period under
5 RS-TOD; is that correct?

6 A. Yes, it -- yes, it does. But two things
7 we're trying to accomplish, two different -- two
8 different ends, right? The RS-TOD is a
9 noncost-based, just price signal trying to -- you
10 know, again, peak power is not -- is not worth -- it
11 does not cost what that on-peak rate is there. It
12 is trying to artificially incent customers to reduce
13 peak usage and shift some of their habits to
14 off-peak and weekend times, whereas NMS II is trying
15 to get net metering service closer to its cost of
16 service there and properly value the avoided cost of
17 net excess generation.

18 So, yes, we -- the peak periods are different
19 because the sun doesn't shine at 9:00 p.m. at night,
20 generally, or 7:00 a.m. on January mornings. So
21 it's trying to match up solar generation and
22 customers' residential load.

23 Q. Okay. So with regard to a second schedule,
24 RS-TOD 2, you agree, subject to check, there's a
25 period on the schedule from November 1st to

1 March 31st where the on-peak period is from
2 7:00 a.m. until 10:00 a.m., and also there's an
3 on-peak period from 6:00 p.m. to 10:00 p.m. from
4 November 1st to March 31st? Does that sound
5 correct?

6 A. Yes. It's looking at basically the -- if
7 you've ever looked at a residential winter load
8 shape, there's a bump up, a ramp in the morning when
9 customers are, again, preparing for their day, and
10 then usually -- you know, they stop heating as much
11 when they go to work, and then in the afternoons it
12 ramps back up as customers come home. So, yes,
13 there's -- it's just that rate schedule is just
14 another take on RS-TOD that we put in a number of
15 years ago. I don't know, probably ten or so.

16 Q. And in terms of that summer period that's
17 appearing on the RS-TOD 2, from May 15th to
18 September 15th, the on-peak period is noon until
19 6:00 p.m. Do you agree to that, subject to check?

20 A. Yeah. Sounds familiar. Again, the RS-TOD
21 tariffs have nothing to do with the netting period
22 that we are proposing in NMS II. Apples --

23 Q. Well --

24 A. -- to oranges.

25 Q. Sure. But let's just talk about apples for

1 just a second, is that the summer peak period, noon
2 to 6:00 p.m., that reflects a time that's different
3 from the on-peak period from November 1st to
4 March 31st, of the 7:00 a.m. until 11:00 a.m. and
5 then 6:00 p.m. to 10:00 p.m.; is that -- they're
6 different time periods for the on-peak usage for
7 these two different periods; is that correct?

8 A. That's correct, because we're trying to, in
9 RS-TOD 2 there, that summer period more closely
10 aligns with PJM's 5CPs, those generation
11 cost-causing peaks, so that that's what it's aligned
12 with.

13 Q. Okay. For these peak periods, with regard to
14 the RS-TOD and RS-TOD 2, are these peak periods --
15 are the time frames when the peak loads on different
16 levels of the system might occur, even though a
17 seasonal peak or a monthly peak is a single-hour
18 issue?

19 A. Yes. You're trying to capture a -- right, a
20 single monthly hour in some sort of a period of
21 time, and that's what -- why those tariffs are the
22 way they are.

23 Q. Okay. And with regard to how the NMS II
24 tariff will operate -- and I'm going to use a
25 hypothetical, and this is for simplicity. If,

1 during a billing month, a customer produced
2 200 kilowatt hours of exports during the daytime
3 period and only used 100 kilowatts of that -- of
4 that available-for-export amount, the customer would
5 have 100 kilowatt hours of daytime use left over or
6 in the bank, so to speak, for netting periods; is
7 that correct?

8 A. Your terminology is a little confusing there.
9 I'm going to assume all of those figures were
10 kilowatt hours, and I think you threw one "kilowatt"
11 in there, which is an instantaneous figure versus a
12 volumetric figure, and then if it -- that example is
13 over a month, there's no bank, it's you netted out
14 those 100 kilowatt hours of load, then the customer
15 was paid at the avoided-cost rate for the excess
16 100 kilowatt hours of that negative energy.

17 Q. Well, and you're a very careful listener, and
18 I -- and I believe it's probably the case that I did
19 use quirky terminology, and I apologize for that,
20 but I want to go back and cover something else
21 again. In terms of the netting period, is that if
22 you have a customer who has reduction in excess of
23 their usage during a net -- during a netting period,
24 that -- on a single day I produce more than what I
25 use, as long as it's within the netting period, the

1 next day, if I use that amount of generation -- if I
2 use an amount of generation in excess of what I
3 produce, I do have -- do I have the ability to take
4 the prior day's excess during the netting period and
5 have that -- that's a really quirky question. Let
6 me try to back -- take one step back and ask that
7 again.

8 During the netting period I'm going to have
9 generation available for my own use, and what I
10 don't use I have available for export, is that
11 correct, in a very simple hypothetical?

12 A. Yeah. Yes, sir. Within the billing period,
13 the kilowatt hours net within the netting period, so
14 if one day you have excess and the next day you're
15 negative, those two things net, but it's with --
16 it's within the netting period for the whole month.
17 And then the net, whether it's net load or net
18 negative energy or exports, that's accumulated
19 within each netting period for the entire billing
20 period.

21 Q. Thank you. Thank you. With regard to the --
22 with regard to NMS II and what I'll refer to as the
23 compensation rate, the proposed -- and I'm going to
24 use an approximate amount. The proposed
25 compensation rate for excess that's exported is

1 approximately four cents; is that correct?

2 A. Yeah, it's -- the avoided-cost rate as
3 amended in my rebuttal testimony is between three
4 and a half and four cents a kilowatt hour.

5 Q. Okay. And you have two netting periods
6 during the day? During the 24-hour period, you have
7 two different periods?

8 A. Yeah. Yes, sir. The day -- the day is
9 divided up in two netting periods.

10 Q. Okay. So as a customer who shifts load from
11 the -- as a customer who shifts load from the
12 nondaytime period into the daytime period, is
13 that -- the customer would also -- could the
14 customer also shift the load associated with --
15 basically, let me take that question again. I
16 apologize. Let me ask that question again a little
17 differently.

18 With two periods during the 24-hour cycle,
19 with two periods, the customer has the ability to
20 shift load from the nondaytime period into the
21 daytime period; is that correct?

22 For example, if I wanted to run my air
23 conditioner at -- begin running my air conditioner
24 at 3:00 p.m. in the afternoon to cool my house, as
25 opposed to waiting until 7:00 p.m. in the afternoon

1 to cool my house, the customer has that ability; is
2 that correct?

3 A. To the extent that there is discretionary
4 load that a customer can move around, yes, someone
5 could do that, but there's no underlying price
6 signal to do that. The rate that applies to the
7 load is the same. It's just a matter of whether --
8 you know, regardless of what netting period you're
9 in, it's just a matter of how we're dealing with the
10 compensation for the customer generator's output,
11 whether it's actually netting kilowatt hour or it's
12 been compensated at the avoided-cost rate.

13 Q. So the customer -- as a general rule, the
14 customer's incentive is to use the additional
15 on-peak power in the way that's going to generate
16 the most -- generate -- the way that's going to
17 result in the most financial benefits to that
18 customer; is that correct?

19 A. Yeah, I think you're looking at it backwards.
20 The customer's incentive is to match the generation
21 with its load, so if a customer isn't home -- you
22 gave the pre-cooling example, but you can't really
23 change how your sump pump runs or how your air
24 conditioner cools or if you have any lighting that's
25 going to happen during the day or whatever your HVAC

1 is pulling during the day. Those things, they are
2 what they are, and like I said, there's no --
3 there's no underlying price signal from the rates
4 that apply to the load to make them want to shift.

5 Q. With regard to a customer, can a customer
6 utilize a programmable thermostat for the HVAC
7 system, if they had one?

8 A. Yeah, they sure can. I mean, you -- a lot of
9 customers, as you see in load profiles, they
10 generally keep the -- keep the home -- if they're
11 leaving for work in the morning, back when we used
12 to do things like that, you know, you would keep it
13 at a different temperature than when you were
14 actually at home. You know, so programmable
15 thermostats, absolutely.

16 But there's no price signal, no reason that a
17 customer would want to just, you know, for no
18 reason, cool their home more while they're not
19 there. You know, you still want to use the same
20 amount of energy overall, and the rate that applies
21 to that load, if it's net billing, is the same no
22 matter when it occurs.

23 Q. Well, but for NMS II customers, they're going
24 to have -- the 24-hour cycle comprises two periods,
25 basically, you have the daytime period and the

1 nondaytime period; is that correct?

2 A. That's correct.

3 Q. Okay. And then with regard to the customer's
4 usage patterns, there is a distinction between --
5 because there's a difference in the netting period,
6 there is a distinction between when the customers
7 use their energy? It can have a different
8 consequence depending on the time of day that that
9 customer receiving service under NMS II uses their
10 energy?

11 A. Yeah, my point is that there's no difference
12 in the rate that applies to net load, whether it's
13 in netting period one or netting period two. You
14 have net billing load, it is -- net billing kilowatt
15 hours or units or kW, it's billed at the same
16 standard rate.

17 And again, there's no -- if a customer was
18 going to use 1,000 kilowatt hours in a month or
19 1,240, the average in the case here, there's no
20 price signal that would say I am better off using
21 1,350 now, you know, to cool my home while I'm not
22 there, just to take advantage of the netting,
23 because you'd still be better off having that net
24 energy credited to you at the avoided-cost rate than
25 using extra energy.

1 And then if it's simply shifting some load
2 from one period into another and you're aligning
3 that with your behind-the-meter generation, you
4 know, the Company is not going to see any additional
5 cost from that because you're netting it at the
6 meter. So there's no net load there.

7 Q. I just have -- one second to look at my
8 notes.

9 MR. SPENARD: Mr. Vaughan, thank you for --
10 thank you for your patience and thank you for your
11 answers.

12 And, Mr. Chairman, with that, KYSEIA is
13 finished with its examination of Mr. Vaughan.

14 THE WITNESS: Thank you.

15 CHAIRMAN SCHMITT: Mr. FitzGerald, I assume
16 you have cross-examination?

17 MR. FITZGERALD: I do. I do, Your Honor, and
18 I didn't know whether you wanted to go ahead and
19 take a break. It's 10 --

20 CHAIRMAN SCHMITT: That's why -- usually we
21 would want to take one at 10:30, but since we don't
22 want to interrupt your cross, let's take a break or
23 go into recess now until 20 minutes until 11:00 --
24 hold on. Ms. Vinsel?

25 MS. VINSEL: Vice Chair Chandler had asked

1 that we take a 20- to 25-minute morning break.

2 CHAIRMAN SCHMITT: Okay. Well, that would
3 put us --

4 MS. VINSEL: Would you like me --

5 CHAIRMAN SCHMITT: -- 15 till. I understand,
6 basically, the Vice Chairman would like to take a
7 longer break, so let's take a break, 20 to
8 25 minutes, until 10 minutes until 11:00 o'clock,
9 and we'll come back then and you can begin your
10 cross-examination, Mr. FitzGerald.

11 MR. FITZGERALD: Thank you, Mr. Chairman.

12 CHAIRMAN SCHMITT: Thank you.

13 MS. BLEND: Thank you.

14 (Recess from 10:27 to 10:53 a.m.)

15 CHAIRMAN SCHMITT: Okay. I think we're now
16 back on the record. Is the witness and counsel for
17 all of the parties present?

18 Well, Mr. Vaughan, even you have to eat. I
19 understand. If you're prepared, if you're ready to
20 go, Mr. Vaughan, Mr. FitzGerald, you may commence
21 your cross-examination.

22 Mr. FitzGerald, we cannot hear you. You must
23 be on mute.

24 Can anyone hear Mr. Fitz -- you can? Well --

25 MS. VINSEL: We can't -- we couldn't hear

1 Mr. Vaughan.

2 CHAIRMAN SCHMITT: We can't hear either
3 Mr. Vaughan or Mr. FitzGerald, so we're going to
4 have to take a minute.

5 VICE CHAIRMAN CHANDLER: Can you hear me,
6 Mr. Chairman?

7 CHAIRMAN SCHMITT: I'm sorry?

8 VICE CHAIRMAN CHANDLER: Can you hear me?

9 CHAIRMAN SCHMITT: Yes. Can you hear
10 Mr. Vaughan and Mr. FitzGerald?

11 VICE CHAIRMAN CHANDLER: I can. Maybe we can
12 give it another try. Mr. FitzGerald.

13 MR. FITZGERALD: Okay. Absolutely. Your
14 Honor, can you hear me now?

15 CHAIRMAN SCHMITT: Yes.

16 MR. FITZGERALD: All right.

17 CHAIRMAN SCHMITT: Mr. Vaughan, would you
18 speak up?

19 THE WITNESS: Yes, sir.

20 CHAIRMAN SCHMITT: Okay. So -- all right.
21 So looks like we're okay. Now you may begin,
22 Mr. FitzGerald.

23 MR. FITZGERALD: It may be more merciful,
24 Mr. Chairman, if you can't hear me, I'm sure.

25

*

*

*

CROSS-EXAMINATION

1
2 By Mr. FitzGerald:

3 Q. Mr. Vaughan, I'd like to start out, if I
4 could, by following up on a few points from your --
5 what I think I heard you say in earlier -- in
6 questioning, but I'd like to clarify in case I got
7 it wrong. Okay?

8 Following up on your point regarding the
9 reduction in bills during the recent years, am I
10 right that part of that reduction is due to tax
11 reform and that the tax reform reduction ends at the
12 end of 2021?

13 A. There's a couple different pieces to tax
14 reform.

15 Q. Okay.

16 A. One of the larger impacts being the 35
17 percent marginal rate going to 21 percent, so that
18 was incorporated into the Company's last base rate
19 increase. So that reduction was there, and then,
20 you know, as Mr. Kurtz and I discussed, based on the
21 KIUC complaint, we then instituted the Tariff FTC
22 here in Kentucky to pass that excess ADFIT protected
23 and unprotected. So the protected piece of that
24 will continue to go on. The unprotected, again,
25 depending on what happens in this case, could go on

1 for a few years, could go on for 18 years.

2 Q. Okay.

3 A. That's a portion of it. Fuel decrease is
4 a -- is a big chunk of the reduction in rates over
5 time, as well as the net credit that was flowing
6 through Tariff PPA for a little over a year.

7 Q. Okay. You froze there for just a second.
8 Okay? Did you hear me okay?

9 A. Yes, sir.

10 Q. Okay. Great. Mr. Blankenship's testimony,
11 his written testimony, concluded with a note that
12 the anticipated cost of AMI is aided by the
13 experience gained from other AEP companies, and then
14 he deferred the rate issues to you. So it's like
15 everybody has, like, laid it on your desk, so the
16 buck stops here, or in this case 37 million bucks
17 stop here.

18 So I was wondering, do you know whether other
19 companies that have been noted as either having
20 deployed or deploying AMI, those being Kentucky
21 Power affiliate PSO, Ohio Power Company, Appalachian
22 Power Company, and AEP Texas, did formal
23 cost-benefit analyses when they were requesting
24 approval for AMI?

25 A. I don't know whether or not they did

1 cost-benefit analyses -- well, all of them, anyways.
2 I know APCo did not. I was just involved in the
3 Virginia rate case there that addressed AMI. It was
4 very similar to Kentucky Power's request in that
5 current AMR meters are obsolete, past their useful
6 life, so AMI meters are going in --

7 Q. Okay.

8 A. -- to those customers. Three of those
9 companies you mentioned do recover AMI through a
10 rider, though, similar to what the Company is
11 requesting here.

12 Q. Okay. And how many of the other ones are
13 recovering costs through part of rate base? Or base
14 rate. I'm sorry.

15 A. Of the AMI companies, I believe APCo.

16 Q. Okay. You responded to a question from
17 Mr. Spenard that the NMS II customer is being,
18 quote, unquote, paid for excess generation. You do
19 understand that the customer in Kentucky receives a
20 credit rather than a payment and that that credit is
21 not redeemable except against usage?

22 A. However it's characterized, it is -- it is
23 compensation or a credit on the bill, and, you know,
24 the Net Metering Act states that -- prevailing law
25 states that net metering is the financial netting of

1 the cost of their load and the price paid for the
2 excess generation.

3 Q. Well, I'm not going to ask you to
4 characterize the law, it speaks for itself, but you
5 do understand that the credit is not able to be
6 cashed out, that it is simply a credit against
7 future use -- future usage, and when the customer
8 ceases to be a customer, that credit stays with the
9 Company and not with the customer?

10 A. I'm not aware of what happens at the end of
11 the -- end of a net metering contract, I guess, but,
12 you know, right now it would be cashed out every
13 month under NMS II per the law --

14 Q. Well --

15 A. -- in the form of a bill credit.

16 Q. -- again -- yeah, in the form of a bill
17 credit. Okay. Thank you. So it is not cashed out
18 at all, it is credited against usage; is that
19 correct?

20 A. I think we're splitting hairs here. The
21 customer is receiving compensation at some level on
22 its bill.

23 Q. With all respect, Mr. Vaughan, we are
24 certainly not splitting hairs, and I won't go into
25 the distinctions between an independent generator

1 under PURPA and the tax consequences versus a credit
2 that is dollar denominated but is not a cash
3 payment. We'll just leave it at that.

4 As you understand it, does prevailing law,
5 that being Kentucky law, require KPC to propose
6 limiting the credit, or the use of those credits to
7 peak hours?

8 A. Are you referring to the bill credits we were
9 just discussing?

10 Q. Yes.

11 A. No, I don't think there's anything in the law
12 that limits that, but the Company's proposal limits
13 that because the law does. It allows the Company to
14 recover its cost of service to serve those net
15 metering customers that use the Company's system
16 every day.

17 Q. Okay. Thank you. And finally, you
18 indicate -- you seem to indicate -- and I was a
19 little concerned about this. You seemed to indicate
20 that the prevailing law required you to propose the
21 avoided cost as the compensatory credit rather than
22 some other value. Is that your testimony?

23 A. Are you referring to how we have -- we have
24 characterized the avoided cost, how we have
25 calculated it?

1 Q. I was referring to the fact that in response
2 to Mr. Spenard's questioning, you said there were
3 two reasons why you went to the avoided cost, and
4 one of them was because the law required it. Did I
5 misunderstand you?

6 A. I don't think I said that, but --

7 Q. Okay.

8 A. But basically the Company is valuing an
9 avoided-cost rate based on what the actual avoided
10 costs are, so that when a customer's load is reduced
11 through net metering or excess net metering in that
12 interval, what is the total cost of service actually
13 realizing? And that is what is in that avoided-cost
14 rate.

15 Q. Okay. So again, the law did not require you
16 to go with the avoided-cost rate, that was a
17 decision of the Company?

18 A. Yeah, you're absolutely correct. And, you
19 know, as Witness -- KIUC AG Witness Baron stated, we
20 could have also proposed a straight buy/sell type
21 tariff and done it as LMP as other companies do, or
22 pick your cost base method. But, yes, I do believe
23 it needs to be cost based. But, no, we could have
24 done it another way.

25 Q. Okay. We're going to shift gears a little

1 bit. How -- do you know how the costs of the
2 current generation of AMR meters were recovered from
3 customers in the Kentucky Power service area?

4 A. It's part of the Company's base rates.

5 Q. Okay. And are those meters fully paid off,
6 or are the residential and commercial ratepayers
7 still paying for them?

8 A. By "paid off," do you mean are they fully
9 depreciated?

10 Q. Yeah.

11 A. It my understanding they are not fully
12 depreciated as the Company has not updated
13 depreciation rates in quite some time.

14 Q. Okay. So do you know how much customers are
15 paying a month for the -- for that generation of
16 meters?

17 A. I do not know specifically what the AMR costs
18 per month per customer is, no.

19 Q. Okay. And under the proposed grid
20 modernization rider -- can we say GMR?

21 A. That would be great.

22 Q. Thank you. That would be used to pay for the
23 cost of this initiative. What will the customers
24 pay each year until the recovery of costs and the
25 return on investment are recovered? Do you recall

1 that offhand?

2 A. I will actually point you to Exhibit AEV-8 --

3 Q. Okay.

4 A. -- in my direct testimony.

5 Q. Okay. AEV-8?

6 A. 8, yes.

7 Q. Great. Thank you.

8 A. It shows -- yeah, it shows in there, during
9 the four-year deployment and then out -- I think I
10 did this for ten years -- what the annual revenue
11 requirement is based on the current cost estimates
12 and associated operating expenses.

13 So in that first year, it's the 1.1 million,
14 and just because we were implementing rates based on
15 that, if you go over to my -- it would be the third
16 page of that schedule, you can see that a
17 residential customer is going to pay 31 cents per
18 month in -- for a GMR rate associated with AMI.

19 Q. Okay. And that's year one, or is that -- is
20 that every year?

21 A. That is year one. So obviously, that would
22 grow over time as the -- as the revenue requirement,
23 as you can see on page 1 of AEV-8, grows over time
24 as you deploy the meters.

25 Q. Okay. Thanks. And did you consider -- or

1 did you compare the cost recovery if you had done it
2 through base rates rather than a rider?

3 A. I mean, the -- so the revenue requirement
4 wouldn't change.

5 Q. Right.

6 A. It's the same whether you put it through the
7 rider or whether you put it in base rates. It's
8 just a matter of, you know, the flexibility of
9 recovery and, you know, as we've said a few times,
10 trying to balance all the -- all of the moving
11 pieces in this rate case, you know, customer bill
12 impacts, the Company's financial situation, you
13 know, that's why it went into the GMR rather than
14 base rates.

15 Q. Okay. I understand the Company needs the
16 money, okay, but my question was: Did you look at
17 the comparative rate impact on ratepayers? They're
18 paying 31 cents a month in year one for the rider.
19 What would they have paid in year one per month if
20 you had gone with base rate?

21 A. The same or more. And I say "more," because
22 if we were doing it in base rates, we would probably
23 try and propose some level of year two costs in that
24 as well as you forecast out, since it's not flexible
25 at all. And as you see, the current plan is to ramp

1 up that spend over time as you do the installations.
2 So, you know, if you put it in base rates and you
3 freeze it at that year-one revenue, it would be
4 baked into the Company's base rates, it may change
5 operationally how Mr. Blankenship and Mr. Phillips
6 actually execute this.

7 Q. Do you know whether KPC considered a pilot
8 program to test the assumption that net -- that AMR
9 would be of interest or benefit to the customers?

10 A. I have no knowledge of a -- of a pilot
11 program. And again, the reason -- my understanding
12 behind that, is that, you know, we're looking at
13 this from an obsolescence standpoint.

14 Q. Right. Okay. So does Kentucky Power -- do
15 you know whether they currently report energy usage
16 by the customer on a monthly residential bill
17 separate from the meter charge?

18 A. Does the bill have monthly kilowatt hour
19 usage on it?

20 Q. Does it separate out what you're paid -- what
21 you're being billed for energy as opposed to your
22 meter charge?

23 A. I'm not certain what the current bill format
24 looks like. It may just have total charges. It may
25 have total rate billings, then taxes. I'm not a

1 hundred percent certain.

2 Q. That's a fair answer. Okay. If we could
3 shift again to time-of-day rates. This is the
4 voluntary buy-in -- or voluntary tariff that you
5 have for time of day. Is --

6 A. Existing TOD rates?

7 Q. Yes, that TOD 2, is that -- is that it?

8 A. Well, no, we have a number of time-of-day
9 rates, and have for quite some time, residential,
10 commercial.

11 Q. I'm sorry. This is the, quote, experimental
12 residential service time-of-day tariff.

13 A. It's been experimental for a long time now, I
14 think, yes.

15 Q. Got that. Got that. We've got a pilot going
16 on in Columbia Gas that has been flying around for a
17 long time.

18 Is Kentucky Power's cost of service, cost of
19 power the same at all times of the day in all
20 seasons?

21 A. Can you repeat your question?

22 Q. Yeah. Let me just -- the average customer
23 gets a kilowatt hour charge, right, a levelized
24 charge, but the actual cost of either producing or
25 acquiring electricity for sale changes over time,

1 does it not?

2 A. It does, and rates do as well. When we look
3 at base rates here, they're fixed. Those are those
4 basic rates, right? They don't have the energy --
5 they don't account for what I would say the more
6 volatile costs are. Like we talk about energy
7 supply, that is true of every month, so that
8 customers do see -- you know, can see widely varying
9 rates through the -- through the FAC and other power
10 supply costs.

11 Q. Okay. And are Kentucky Power's costs of
12 generating or acquiring electricity higher during
13 peak demand?

14 A. It totally depends. Ten years ago, when I
15 was in more of the commercial business here, I would
16 say yes. Now, anybody's guess. I mean, it's highly
17 dependent upon, you know, market forces beyond just
18 what Kentucky Power is doing.

19 And again, you know, our peak time may not
20 align with the peak time of PJM, so you may see very
21 little fluctuation in LMPs. It just depends.

22 Q. Okay. How many residential customers do you
23 know took service under the experimental time-of-day
24 tariff, residential tariff, during the test year?

25 A. Very few. I don't have the exact number, but

1 it's in the -- it's in the test year schedules.

2 Q. Okay. Roughly? 100? 200?

3 A. So on RS-TOD 2, there are zero.

4 Q. Okay.

5 A. And on RS-TOD, we have six.

6 Q. Okay. Very popular program, then?

7 A. Very.

8 Q. Okay. The -- is it true that with the
9 current net metering tariff -- we'll call that
10 NMS I.

11 A. Sure.

12 Q. The -- a customer could now choose to be a
13 customer generator and opt into the TOD rates?

14 A. I think that's true.

15 Q. Okay. Do you know whether they would be
16 able -- oh, I'm sorry. Go ahead.

17 A. I'm not a hundred percent certain. I would
18 need to go back over the existing tariff, but, yeah,
19 that does -- sounds right.

20 Q. Okay. Would they be able to under the
21 proposed NMS II?

22 A. No, they can't, because of the overlying
23 netting periods.

24 Q. Is the current voluntary TOD tariff available
25 to customers using the AMR meter technology, or do

1 you have to install a new meter to enable them to
2 use the TOD rates?

3 A. The way I understand it is it's an AMR meter,
4 but there's essentially another piece of equipment
5 that gets plugged into it. There's a lot of -- a
6 lot of metering charges that I don't understand, but
7 there's other registers or something that happens
8 within that AMR meter to provide the billing, we'll
9 call them the buckets or netting period -- not
10 netting period. The period -- the billing period,
11 right? Because we have to accumulate usage by
12 period, then send it to our billing system to be
13 able to bill that tariff, but it's an AMR --

14 Q. Okay. As --

15 A. -- meter.

16 Q. As I understand it, now, and I could be
17 wrong, the AMR meter is capable of producing that
18 information whether somebody is using energy or
19 electricity at peak times, as defined by the
20 Company, or off-peak times.

21 A. Yes, that's how we bill the on-peak and
22 off-peak rates in the tariff.

23 Q. Okay. And then does the customer under that
24 tariff get some information saying here are the
25 hours that are peak, here are the hours that are off

1 peak, so they know and can adjust their usage?

2 A. Yeah, it's in the tariff.

3 Q. Okay.

4 A. So it's stated in the tariff they signed up
5 for.

6 Q. Wonderful. And why would a person choose to
7 participate in a TOD rate program, do you know?

8 A. I do not know what those six customers are
9 thinking, but generally it would be if you have some
10 sort of -- some sort of portion of your load that
11 is -- that I would characterize as discretionary and
12 easy for you to move from time period to time
13 period, such as, you know, an electric vehicle,
14 like, again, back to my EV tariff, it would be, you
15 know, some sort of discretionary load that you want
16 to -- you have the ability to move off of one
17 higher-priced-type time period to a lower price time
18 period, take some sort of financial advantage of
19 that.

20 Q. Excellent. And does the Company benefit from
21 the customers doing this TOD program?

22 A. Yeah. It's the same discussion as I had with
23 Mr. Spenard there on the -- you know, if we can
24 reduce load at certain cost-causing peaks, you know,
25 the overall cost of service benefits, and that's

1 what we have priced in NMS II and my other -- my
2 peak-shaving tariff, which I just lost my -- DRS --

3 Q. Yeah.

4 A. -- the DRS tariff.

5 Q. Okay.

6 A. Same concept.

7 Q. Believe me, Mr. Vaughan, I have lots of those
8 moments, so -- and so as -- and just so I
9 understand, the benefits that somebody participating
10 in the TOD, although, you know, when there's six of
11 them within the entire system, we can assume they're
12 fairly marginal benefits, but those benefits to the
13 system are baked into the prices, right?

14 A. That's right. It's baked into the effective
15 rate they get, you know, which is lower off peak
16 when they move. You know, let's say, for example,
17 their standard bill would have been ten cents and
18 now it's seven cents because they shifted some
19 portion of the load off peak, and there's some sort
20 of roughly commensurate reduction in the overall
21 cost of service. Cost of service went down,
22 customer's bill went down, same as any sort of
23 peak-shaving paradigm.

24 Q. Got it. Got it. And do those participating
25 customers, assuming that they do have some

1 discretionary load that they can shift to a lower
2 peak, are they paying -- when they do shift that
3 load, are they paying as much of the fixed costs
4 that are embedded in the volumetric rates as they
5 would if they used all that energy on peak?

6 A. It depends. When we design these TOD rates,
7 you design it so that the distribution costs are the
8 same in every component, because obviously,
9 distribution infrastructure doesn't move, doesn't
10 matter when you use -- when you use it, whether it's
11 on peak, off peak, or how much you use it, it has to
12 be there for you to receive service. So those rates
13 are constant across all the TOD period, the prices.

14 And then you basically look at -- largely,
15 transmission is the same way, so the wires charges,
16 and then you kind of create that noncost-based price
17 differential on the generation portion of the bill.

18 Q. Okay. Okay. And the -- getting -- now,
19 this -- I think you've almost answered this question
20 too. Regarding the rates, what is the -- if you
21 could -- and if this is not something that you've
22 got in front of you, just say so. But can you break
23 down for me the components of the rate for on-peak
24 consumption, which I understand to be 15.7 cents per
25 kilowatt hour, as opposed to the off peak of 8.25

1 cents per kilowatt hour? What's the -- what's the
2 differential there, if you're -- if you're -- if
3 you're building in the distribution costs, you're
4 building in the transmission costs as being fairly
5 fixed, what floats between those two rates?

6 A. Well, like I mentioned, the differential
7 isn't cost based. There also would be almost no
8 differential because there's very little difference
9 now in on-peak and off-peak prices. As I discuss in
10 my testimony, it's purely an incentive price signal
11 to move folks off. If it was cost based, it would
12 look exactly like the price signal in NMS II or DRS.

13 Q. Okay. Okay. Thank you. Moving on. Do, do,
14 do.

15 Do you -- do customer-sited -- or let's say
16 rooftop energy, solar energy systems normally
17 generate energy during the RS-TOD on-peak periods,
18 which I think is 7:00 to 9:00 Monday to Friday?

19 A. Yes, during the day.

20 Q. Okay.

21 A. When the sun is out.

22 Q. Cool. And then do they normally generate
23 energy during the RS-TOD 2 on-peak periods, which
24 are noon to 6:00 May 15th-September 15th?

25 A. They hit the summer one, they miss the --

1 they largely miss the winter peak.

2 Q. Okay.

3 A. On a large scale.

4 Q. In determining the compensation rate offered
5 for excess generation from net metering customers,
6 how does the NMS II tariff account for the higher
7 value of energy during peak periods?

8 A. It's baked into the avoided energy rate and
9 the avoided capacity and transmission cost rate.
10 Those are actually marginal costs. And again,
11 LMPs -- LMPs are almost flat. There's very -- very
12 little differentiation anymore between an LMP,
13 locational marginal price, being the Company's
14 marginal cost of energy, across on-peak and off-peak
15 periods. And so the avoided-cost rate in NMS is
16 weighted towards the on-peak production on a solar
17 facility. So they're getting that full compensation
18 there.

19 Q. Full crediting?

20 A. Certainly. Full credit in the avoided-cost
21 rate.

22 Q. Okay. There are, as I understand it, roughly
23 30 or 40 current net metering customers, including
24 the residential and the commercial?

25 Just so you don't have to look, Mr. Vaughan,

1 the page 166 in Section III of the testimony in
2 Volume 1 says, (Reading) At the end of the test
3 year, there was 44 net metering customers.

4 Does that sound about right?

5 A. Yeah. We updated that in Staff 4-82.

6 There's 46 installs in service, ten of which are
7 commercial, so 36 --

8 Q. Okay. Right.

9 A. -- residential.

10 Q. And then the testimony, I think one of the
11 other witnesses said there's potentially 30 more
12 that are in the pipeline?

13 A. I believe so. I think there's -- I confirmed
14 some. Roughly that number is between 23 and 30, I
15 think, applications out there.

16 Q. Okay. And do you know how many RS customers
17 have submitted applications that are not yet
18 operational?

19 A. I do not.

20 Q. Okay. How many GS customers?

21 A. That -- I don't know. It's hard to see --
22 even if I did see those applications, our
23 distribution generation group takes care of that.
24 That was part of the confusion in our initial
25 testimony and discovery answers is that you may have

1 a commercial customer with a residential customer's
2 name on it, but it's for a commercial account.

3 Q. Gotcha. Gotcha. Is economic development and
4 job creation important to Kentucky Power?

5 A. Absolutely. As, you know, Company President
6 Mattison and as Company Witness Wiseman discussed,
7 that economic development, jobs in the service
8 territory and lowering rates for everyone is a big
9 goal of Kentucky Power.

10 Q. Okay. How many -- do you -- have you figured
11 out what the total financial impact of non -- on
12 nonparticipating customers of crediting your current
13 net metering customers at a one-to-one kilowatt, you
14 know, generator-to-use basis, what the rate impact
15 is on nonparticipating customers on a monthly or
16 annual basis?

17 A. I mean, those numbers are all in the record
18 here, especially when you look at -- I think my
19 tables there at the end of my rebuttal testimony, we
20 discussed what an NMS bill would be versus what a
21 NMS II bill would be versus what a standard bill
22 would be, and, you know, there is a subsidy there,
23 and it's not material currently, but again, that's
24 not one of the requirements for us to change our
25 rates, how we treat NMS, net metering customers.

1 Q. When you say it's not material, did you -- do
2 you dispute the suggestion from Mr. McDonald and
3 that which was given by Mr. Rabago during the
4 administrative case, which is part of the record of
5 this case, that the impact, current impact of the
6 one-to-one credit on nonparticipating customers is
7 about seven cents a year?

8 A. I wouldn't say I agree with any of their
9 math, especially Mr. Rabago's in that case, but
10 it -- the subsidy is there, you're paying someone
11 three times -- three times the cost of a good for
12 said good, so that -- and we are availing ourselves
13 of the Net Metering Act in this application to
14 change our rates.

15 And like I say in my rebuttal testimony,
16 there's no reason to wait until the problem is huge
17 to fix it. I don't know if you've looked at some of
18 those rate cases out West, in Arizona and Nevada,
19 but they become very contentious on all sides.
20 There's a lot -- there's a lot of money at stake
21 there, and, you know, the Company -- the Company was
22 prefer to fix something, send the correct price
23 signal, and do it now, before it is a larger subsidy
24 in rates, so that those new NMS II customers can
25 evaluate their investment on a more reasonable

1 footing.

2 Q. Okay. So getting back to it, you didn't
3 agree with the math, but do you have a number for
4 what is -- what is now a negligible or a minimal
5 impact? Have you priced out what the actual
6 supposed subsidy is that nonparticipating customers
7 are paying?

8 A. In terms of cents per kilowatt hour, yes. In
9 terms of total dollars each year, it's irrelevant,
10 as I've discussed.

11 Q. Well, if there's a subsidy that's occurring,
12 do we know what it is in terms of what -- if I'm a
13 nonparticipating customer, am I coughing up a penny,
14 a fraction of a penny, five cents? It's not
15 irrelevant to me as a nonparticipating customer if
16 there is such a subsidy. I'm just wondering if you
17 put a dollar value on it.

18 A. Just a moment.

19 Q. Sure.

20 A. Yeah. So if you look at my rebuttal page 25,
21 customers are paying just over ten cents, 10.33
22 cents per kilowatt hour for a commodity they would
23 otherwise purchase for 3.85 cents. So the
24 difference there is what, per kilowatt hour -- it
25 grows volumetrically as you add more to it -- what

1 nonparticipating customers are paying versus
2 participating customers.

3 Q. Okay. And have you multiplied that cost by
4 the -- or spread that cost among the number of
5 customers in the residential class, and can you tell
6 me what the annualized cost is for that
7 nonparticipating customer because of this supposed
8 subsidy?

9 A. No, because as I stated earlier, it's
10 irrelevant.

11 Q. Humor me. Have you made that calculation?

12 A. No, sir.

13 Q. Okay. And why is it irrelevant? If you're
14 so concerned that there's a subsidy occurring, that
15 the nonparticipating customers are being asked to
16 participate in the payment for something that --
17 let's assume it has no value to them. Why is it
18 irrelevant, that -- the amount that they are being
19 required to pay?

20 A. So like I said here, it's kind of a multipart
21 answer. First off, current NMS customers are
22 grandfathered, so they're not losing anything on
23 their investment that they made under the old NMS
24 tariff, right? So they made some sort of decision
25 to put generation on their homes or their business,

1 and whether that was economic or otherwise, that is
2 the deal they struck, that's grandfathered under the
3 law.

4 We want to provide the right price signals
5 for future potential NMS customers, and NMS II, so
6 that they can make the right decision. And the
7 Company's position is that nonparticipating
8 customers shouldn't be funding above what they
9 normally would have paid for electricity, that
10 NMS II customers' economic decision, you know,
11 their -- they can take into account if they're
12 getting a federal tax credit or some other state
13 program, whatever's out there, but we want to keep
14 that out of our electric rates so that our customers
15 aren't different.

16 Q. I'm going to try this one more time and then
17 we'll just move on.

18 Have you quantified, on a monthly and an
19 annual basis, what this supposed subsidy is that
20 nonparticipating customers are paying for those that
21 are taking --

22 MS. BLEND: Your Honor --

23 Q. -- net metering?

24 MS. BLEND: Your Honor, objection. This
25 question has been asked and answered by Mr. Vaughan

1 several times, he's explained his answer several
2 times, and the fact that Mr. FitzGerald doesn't like
3 that answer doesn't entitle him to keep asking.

4 MR. FITZGERALD: Listen, I can dance as well
5 as anybody. We've asked it several times, it's not
6 been answered. There is a claim that there is a
7 supposed subsidy, yet the Company seems incapable of
8 determining and reporting what that supposed subsidy
9 is.

10 MS. BLEND: And, Your Honor, Mr. Vaughan
11 explained that he hasn't calculated that subsidy,
12 and that it's not necessary to do so and he has
13 explained why.

14 CHAIRMAN SCHMITT: Yeah, I sustain.

15 MS. BLEND: We believe --

16 CHAIRMAN SCHMITT: Let's move on. I think we
17 understand.

18 MR. FITZGERALD: Thank you, Your Honor.

19 Q. Mr. Vaughan, you suggested that the time to
20 deal with this problem is now, before it becomes a
21 significant problem. You are familiar that there is
22 a statutory maximum cap of one percent?

23 A. Yes, sir.

24 Q. Have you calculated what the rate impact
25 would be on nonparticipating customers at one

1 percent penetration by net metering customers?

2 A. Yeah, I have -- I have not, but again, that
3 6.2 cents per kilowatt hour in subsidy, as I just
4 discussed, the difference between 10.3 and 3.5, you
5 know, if we change it to NMS rate where
6 nonparticipating customers are different, there's no
7 need to calculate it because there is no subsidy
8 going forward, or a much-reduced subsidy.

9 And again, my experience in other places,
10 every time something gets close to a statutory cap,
11 it tends to get pushed out to a larger statutory
12 number. We just saw that in Virginia, so -- and
13 again --

14 Q. Mr. Vaughan -- go ahead.

15 A. -- my testimony is that we address that now
16 so we get the right framework for customers to make
17 their economic decisions based on.

18 Q. You're familiar with the fact that in
19 Kentucky, we went from a flexible cap to a hard cap
20 of one percent and not the other way?

21 A. I don't have the background on that, but --

22 Q. Okay. So this concern about this subsidy,
23 these -- the indeterminate amount of this subsidy,
24 is it higher or lower than the \$3.48 a year that a
25 nonparticipating residential customer pays to

1 support the TEE program? Do you know that?

2 A. The what program, sir?

3 Q. The -- is it TEE, the energy efficiency --
4 Targeted Energy Efficiency program? We've
5 established that the nonparticipating residential
6 customer in Kentucky Power service territory pays
7 \$3.48 a year to support that program.

8 A. Yeah.

9 Q. Do you know, is that higher or lower than
10 this supposed subsidy from nonparticipating to
11 participating net metering customers?

12 A. So again, the quantified subsidy is that
13 6.2 cents per kilowatt hour, but I do not know if
14 it's larger or greater than the amount billed for
15 the Company's Commission-approved energy efficiency
16 demand response programs --

17 Q. Do you know whether it's higher --

18 A. And that's --

19 Q. -- oh, sorry?

20 A. I was just going to say that, you know,
21 that's a program that the Commission approved, you
22 know, in our last rate case, or something very close
23 to it, the companion case, they eliminated the
24 remainder of the Company's programs and that that's
25 the one surviving program.

1 Q. Okay. And do you know whether it's higher or
2 lower than the \$3.60 a year that nonparticipating
3 residents -- customers pay to support the Low Income
4 Energy Assistance programs?

5 A. I don't know.

6 Q. Okay. And for commercial net metering
7 customers, do you know whether the supposed subsidy
8 is higher or lower than \$12 a year that they pay to
9 support the K-PEGG program?

10 A. Well, I'm -- I don't agree with your
11 characterization of the K-PEGG being a subsidy.

12 Q. I appreciate that. Do you know whether it's
13 higher or lower than the amount that is being paid
14 by commercial customers to support that program
15 every year at \$12?

16 A. I don't know, and I would testify that that's
17 irrelevant.

18 Q. I appreciate that too.

19 Do you know whether, under the three programs
20 I mentioned, the Company gets a rate of return on
21 the management of those programs, the Targeted
22 Energy Efficiency, the Low Income Energy Assistance,
23 and the K-PEGG program?

24 A. We definitely don't earn a rate of return on
25 the K-PEGG program. You know, as Ms. Wiseman said,

1 that's a -- that's going into some of the Company's
2 economic development efforts, which, you know, if
3 you look at my Exhibit 9, those efforts are
4 increasing the amount of billing units on the
5 Company's service territory and helping to lower all
6 customers' rates.

7 On the energy efficiency programs, I believe
8 the Company receives a voided -- or, I'm sorry, lost
9 revenues associated with the reduction in load from
10 its energy efficiency efforts.

11 Q. Okay.

12 A. You know, which is different from what
13 happens with, you know, net metering.

14 Q. Okay. What happens to the electricity, then,
15 that the -- the excess generation that is fed into
16 the system by a net metering customer? Is that
17 energy resold by the utility?

18 A. Resold? How so, sir?

19 Q. Well, I -- does the -- does the electricity
20 from a net metering customer go any further than the
21 local grid?

22 A. Generally, no. I'd say it's being consumed
23 on the distribution system, so it's netting the
24 Company's load.

25 Q. Okay. And so is somebody else consuming that

1 electricity?

2 A. Between line losses and some other customer,
3 yes.

4 Q. Okay. How much are the line losses?

5 A. Depends what customer, where they're sited on
6 our system. As we've talked a lot here in this
7 case, our system is very dispersed. It's not very
8 dense. It's not -- it's most likely not going from
9 one yard, you know, 30 feet over to the next house.
10 That's just not how our system is built.

11 Q. Okay. So --

12 A. So the line loss could be very significant.

13 Q. Okay. So the part that's not lost to line
14 loss, some other customer is consuming?

15 A. Yeah. As I said, it's reducing the Company's
16 distribution level load, and that's how we've
17 designed the avoided-cost rate.

18 Q. Okay. And is that other customer getting
19 that electricity for the avoided cost, or are they
20 paying you a higher value for it?

21 A. Customers are paying for service. And,
22 again, the only piece -- there's only certain pieces
23 that -- you're talking -- when a DG customer reduces
24 energy, you're only talking one portion of the
25 overall cost of service. You're talking energy

1 supply, you're not talking -- you know, those units
2 are not supplying regulation, other ancillary
3 services. They're not providing transmission
4 service and distribution service. You know, those
5 are all different parts of the Company's rates.

6 So essentially, if you do price it at the
7 avoided-cost rate, then yes, it is exactly what that
8 customer would have paid for those electrons had it
9 not received them from some other DG customer.

10 Q. Okay. So that other customer is getting the
11 electricity for the same price that you are
12 compensating the net metering customer?

13 A. Yes, because it's only part of the bill. You
14 can't -- I know net metering likes to wrap all of
15 the Company's services up and provide that credit to
16 the customer, but it doesn't change the fact that
17 there's distribution and transmission and other
18 infrastructure there that that customer still uses
19 every day.

20 So what I'm saying is, electrons that are
21 flowing down the system to the next customer and
22 theoretically they're consuming them, by definition,
23 if it's an avoided-cost rate, they are receiving
24 those electrons at the same price as they would have
25 otherwise.

1 Q. Okay. And you -- have you credited any value
2 that having that distributed generation may have on
3 the local grid?

4 A. Yes. I think I go through that -- well, let
5 me find the part of my --

6 Q. No, I just -- I don't need the details. I'm
7 just asking whether you factored that into your --
8 the value that you assigned to the net metering --
9 net metered energy.

10 A. Yeah, absolutely. As I walked through
11 rebutting Mr. Owen's comments, I think there's eight
12 different points, we address all of them. And
13 anyone that actually has an actual avoided cost is
14 absolutely included, including the load-based
15 ancillary costs that I had overlooked in my direct
16 testimony that he pointed out in his discussion that
17 I then later incorporated. And distributions losses
18 are also one of those that is included in the
19 avoided-cost rate.

20 Q. Okay. Give me just a second here.
21 Mr. Vaughan, on page 25 of your rebuttal, you
22 describe solar energy as a commodity consisting of
23 energy capacity and renewable attributes.

24 Do you recall that?

25 A. Yes, sir.

1 Q. You describe the Company's test year average
2 capacity value and distribution value for a
3 residential system at \$515; is that correct?

4 A. That would be the -- I think you said
5 "distribution," it would be energy and capacity.

6 Q. Oh, okay. And the average system, this
7 average system is 8.84 kilowatts?

8 A. Yes, for the residential class.

9 Q. Okay. Producing 13,374 kilowatt hours of
10 energy?

11 A. Yes, sir.

12 Q. Okay. And representing about 3.36 kilowatts
13 of market capacity with the energy valued at the
14 hourly PJM LMP and the PJM RPM; is that correct?

15 A. Yes. That table there on R25 could give you
16 that, essentially what the commodity value is, yes.

17 Q. Okay. I'm trying to understand how it is
18 informative to consider the customer-invested
19 generation as a commodity to the PJM market,
20 particularly for NMS I customer generators, given
21 the very limited constructs granted to such
22 localized small-capacity systems operating under
23 statutory constraints and current PSC
24 interconnection guidelines and operating behind the
25 meter.

1 A. Can you repeat your question, please?

2 Q. Yeah. I'm trying to understand how
3 informative it is to consider customer-invested
4 generation as a commodity to the PJM market,
5 particularly for NMS I customers, given the very
6 limited constructs granted to such localized
7 small-capacity systems operating under statutory
8 constraints, PSC interconnection guidelines, and
9 operating in a fashion behind the meter.

10 A. So again, NMS I customers are grandfathered,
11 but again, it's informative because we're talking
12 about a commodity here, and but for this DG -- the
13 DG electrons that under NMS II, or under any
14 construct, but for that, we're trying to come up
15 with what is the commodity price that customers
16 would have otherwise consumed that commodity at.
17 And when you're looking at it on a purely marginal
18 basis, that's what it is.

19 Q. Okay. On page 25 of your rebuttal, it
20 appears that the NG capacity shown in the figure on
21 that page considered solar's total generation and
22 not the kilowatt hours that could be received by the
23 grid from that customer generator; is that correct?

24 A. That's right. That's the full load shape.
25 It's not -- it's not discounted for what would be

1 consumed behind the meter. As I state here,
2 there's, like a generator view of that commodity.

3 Q. Okay. And so you're -- are you suggesting
4 that the kilowatt hours that are generated by the
5 customer generators' systems are instantaneously
6 used behind the meter -- that aren't instantaneously
7 used behind the meter should be viewed as a
8 commodity and valued at commodity value as well?

9 A. For the -- for the purpose of setting the
10 correct rates for net metering customers and how it
11 affects other customers, yes, any avoided costs
12 should be taken into account. The avoided cost is
13 the commodity price.

14 Q. Okay. How do you square the revenue meter as
15 being the demarcation point where the kilowatt hours
16 suddenly become a commodity at the PJM hourly LMP
17 price?

18 A. Well, again, when we -- when we produce the
19 avoided-cost rates, they account for things like
20 distribution losses. So you're grossing up what the
21 price would have otherwise been. You know, you're
22 getting a credit for distribution losses because you
23 do you travel from your regular net distribution,
24 that meter, up to a -- your -- the price from PJM is
25 a transmission-level price.

1 So I'm not saying the customer is selling
2 some commodity or doing anything like that. It is
3 purely a marginal cost of service exercise when
4 you're looking at what an increment or decrement of
5 load or generation is worth. It's very standard.

6 Q. Okay. Shifting gears for a second. You are
7 familiar with the -- we -- getting back to the
8 K-PEGG program. You didn't like the word "subsidy,"
9 but can you tell me, in your understanding, what is
10 the justification for imposing a \$12 annual cost on
11 existing commercial customers to fund potential
12 economic development for future customers?

13 A. Well, I think as Company Witness Wiseman and
14 Company Witness Mattison have discussed, you know,
15 our -- they discussed our economic development
16 efforts. And as I show in AEV Exhibit 9, when we
17 are successful there, and when those programs work,
18 we reduce everyone else's rates by attracting new
19 customers and increasing the denominator in the
20 billing equation. And so I hope our current
21 commercial customers are future commercial
22 customers, and these economic development programs
23 are trying to help encourage that.

24 Q. Okay. And you're familiar with the TEE
25 program, the Targeted Energy Efficiency program and

1 the funding mechanism for that?

2 A. Only at a high level.

3 Q. Okay. Okay. I'm not going to ask you any
4 more about that, then.

5 The TEE program, the Low Income Energy
6 Assistance program, and the K-PEGG program seem to
7 have in common the idea that -- leaving aside
8 questions, particularly with Low Income Energy
9 Assistance, that we are a moral people who see the
10 importance of helping out those who are -- who are
11 less well-off than we, they seem to have a common
12 element, and that is that the cost of those programs
13 are spread across the entire customer class, but the
14 benefits may inure to a select number of people
15 within that class at a higher level than they are
16 generally benefitting the whole class; is that
17 correct?

18 A. Again, setting the K-PEGG aside, the energy
19 efficiency programs there, to the extent --
20 definitely the people receiving those program
21 dollars and whatever benefits come with it, right,
22 they're receiving those benefits, but to the
23 extent -- to the extent you're lowering that load on
24 a cost-causing peak, cost of service is benefitting.
25 And no, I have no analysis showing any correlation

1 there, what the actual programs are.

2 And then, you know, we talked about the
3 heating assistance, the low-income assistance
4 programs, right? That's funded with various ways,
5 through some shareholder dollars, through some
6 federal dollars, through some contributions from
7 customers, and that's just -- that is what it is.

8 Q. Okay. You know, it seem -- and the reason I
9 ask these questions is not just to be cute. Okay?
10 The reason I ask is because it seems that Kentucky
11 Power doesn't have a philosophical opposition to
12 having subsidies within a class of customers
13 provided that it believes that there's some value
14 gained from it. It doesn't even seem to have an
15 economic problem with interclass subsidies. And I'm
16 just trying to, for the life of me, figure out why
17 it is so obsessed with wanting to prevent a supposed
18 subsidy from a handful of residential customers that
19 are of negligible impact to the remaining members of
20 that customer class.

21 MS. BLEND: Your Honor, objection as
22 argumentative and because Mr. FitzGerald has now, it
23 appears, begun testifying through his
24 cross-examination.

25 CHAIRMAN SCHMITT: Sustained.

1 MS. BLEND: If Mr. FitzGerald could --

2 CHAIRMAN SCHMITT: Sustained. Sustained.

3 Q. If we could, Mr. Vaughan, I'd like to ask
4 questions about mechanism of the NMS II tariff.

5 The existing tariff, as I understand it, is a
6 one-to-one credit, one kilowatt hour generated and
7 fed into the grid, one used, they net out; is that
8 correct?

9 A. Over a period of time, yes, right. But it's
10 not instantaneous. It's -- they get to use their
11 bill as if it were a battery, and that is the old
12 volumetric construct that has been stricken from the
13 law.

14 Q. Okay. And -- well, that's not for
15 grandfathered customers, right?

16 A. I'm sorry. Can you say that again?

17 Q. Not for grandfathered customers it hasn't
18 been stricken from the law?

19 A. That's right. For the grandfathered
20 customers, it is still in place.

21 Q. Okay. And are you proposing an instantaneous
22 tariff or are you proposing one that nets over a
23 period of time as well?

24 A. Right now, this is a period of time. It's
25 just we're narrowing that period of time to keep it

1 within actually when the systems are producing,
2 right? It's not -- it's not to instantaneous yet,
3 and, you know, we could potentially look at that in
4 the future, but right now we're just taking the
5 measured step from full volumetric, where a customer
6 could produce a kilowatt hour in the middle of the
7 afternoon then net it on a winter morning peak when
8 there's no sun out, to something that at least nets
9 within the solar production window.

10 Q. Okay. But it's still being netted over a
11 billing period?

12 A. It's being netted within the -- within the
13 netting period and accumulated for the billing
14 period.

15 Q. Okay.

16 A. Then start over.

17 Q. So am I correct that the NMS II requires
18 customers to redeem credits for any excess
19 generation within that same period during which the
20 kilowatt hours were generated? Is that what you
21 were mentioning? You termed it "narrowing."

22 A. Yes. It's going from all 730-ish hours in
23 the month to the solar production hours, the
24 majority of the solar production there that -- on
25 the daytime on-peak period there.

1 Q. Okay.

2 A. Yes, they are netting within that. And as
3 you accumulate the net, net excess energy in that
4 period, at the end of the month they will receive a
5 bill credit for that amount.

6 Q. Thank you. Thank you. We're on the same
7 page. That's excellent.

8 Let me ask, Mr. Vaughan: Those credits carry
9 forward, do they -- do they not, under your
10 proposal, from a month-to-month basis?

11 A. No, they do not carry forward. They are on
12 the customer's bill each month.

13 Q. Okay. So you're proposing that any excess
14 generation that is -- occurs within a month and is
15 not consumed within that same month would be
16 extinguished?

17 A. It's not extinguished, it's being credited at
18 the avoided-cost rate, because you're accounting for
19 all the energy in that system each month, whether it
20 is netted in one of the netting periods or it is
21 excess energy -- net negative energy or excess
22 energy, it's then being credited. So it's a -- it
23 is a financial credit, as discussed in the statute,
24 on the customer's bill each month.

25 Q. Okay. So --

1 A. If you --

2 Q. Go ahead.

3 A. If you look at -- oh, man. A lot of
4 testimony pages here, sorry.

5 Q. No, that's fine.

6 A. If you look at my testimony, rebuttal
7 testimony, R41, that table, on the NMS II bill
8 example for that residential customer, there's a
9 hundred-dollar rate billing, and then there's excess
10 energy credit of 19 to a monthly bill of \$81 there.
11 And so at that point you've accounted for all system
12 generation in that billing period, and then you
13 start over in the following month at zero and you do
14 the same.

15 Q. Okay. What if my generation within a billing
16 period exceeds my usage? Do I have a credit that
17 carries forward at that point?

18 A. No. That's exactly what the 19 is there.
19 Whether it exceeded your energy in total or just
20 within that billing period, any net negative excess
21 energy is being compensated at the avoided-cost rate
22 each and every month.

23 Q. Okay. Let's shift gears here. A couple of
24 more areas I wanted to talk about. Did you -- are
25 you familiar with the declining block rate proposal?

1 A. Yes, sir. I proposed it.

2 Q. Okay. Who is eligible for that rate under
3 your proposal?

4 A. Who's eligible?

5 Q. Uh-huh.

6 A. All residential customers who have more than
7 1,100 kilowatt hours in the winter months will see
8 some sort of benefit from that proposal.

9 Q. Okay. What's the effect of a customer's rate
10 when they reach that level?

11 A. It's then reduced. There's a discount in
12 that tail block, you know --

13 Q. Okay. So --

14 A. -- I referred in my direct testimony, to --
15 to reduce the interclass subsidy that's overpaying
16 fixed costs that those customers are experiencing
17 currently.

18 Q. Okay. So it cuts that party a break in terms
19 of their costs of electricity above that level; is
20 that correct?

21 A. It, per cost-causation, is reducing the
22 interclass subsidy by reducing the applicable rate.

23 Q. Okay. So has the Company projected how many
24 customers would benefit from the declining block
25 rate?

1 A. I think -- I think it's in my -- it's in my
2 testimony or it's in discovery responses, but, yes,
3 it's a great number of customers.

4 Q. Okay. And have you calculated what effect
5 that lower rate would have in terms of whether that
6 customer, for the usage above that cutoff, whether
7 they would still be paying their fair share of the
8 fixed costs if they're getting a break on that
9 overall rate?

10 A. Yeah, absolutely. That's why I proposed it
11 that way. They're paying full distribution and
12 transmission costs and then they're lowering a piece
13 of the generation costs there that they're paying.
14 So again, when you have as much fixed cost and
15 volumetric rates as the Company does, you can see
16 very skewed bills when you have high load months
17 because of cold weather because that is
18 nondiscretionary load, so you'd see a customer who
19 is paying a very large piece of fixed cost because
20 it got very cold for an extended period of time and
21 their usage went way up, and that's what we're
22 attempting to rectify, in part, here through the
23 declining block in the winter.

24 Q. Okay. So where are they -- if you still are
25 recovering all the fixed costs, where are you giving

1 them a break?

2 A. We're reducing their fixed cost contribution
3 because they are overpaying to begin with. So we're
4 bringing it more in line with what they should be
5 paying. It's the opposite of the NMS proposal.

6 Q. Okay. If I am a customer who has installed
7 energy efficiency measures in my house on my side of
8 the meter, and because of that I'm using less
9 electricity, am I contribute -- am I
10 undercontributing to the recovery of fixed costs
11 relative to these other customers?

12 A. I can't answer your question with just that. ,
13 I mean, I need to know, like, how many billing
14 kilowatt hours you use and whatnot, right, because
15 it's all -- everything is based on averages, and,
16 you know, you look in my testimony, our electric
17 heating customers are using significantly above
18 average because of those high winter usage months,
19 and that's the issue.

20 And, again, as I mentioned, we have
21 90 percent of our total revenues in the residential
22 class are in volumetric charges, so as you reduce
23 usage through any means, energy efficiency or
24 otherwise, you see some sort of reduction in bill
25 there and reduction in fixed cost contribution.

1 Q. Okay. I'm always, Mr. Vaughan, in the
2 unenviable position of standing between everyone and
3 lunch, so I'm going to try to wrap this up in the
4 next couple minutes.

5 A. Can you hear me? I just received a new
6 microphone.

7 Q. Mr. Vaughan, are you familiar with the --
8 with the AMI initiative, the proposal?

9 A. Somewhat.

10 Q. Okay. I had asked before, and I don't know
11 that the question was answered. Do you know if
12 there's an empirical basis, a study or a set of
13 studies, for assuming that getting energy
14 information on usage more frequently would be a
15 benefit to customers, and particularly low-income
16 customers?

17 A. I don't know if there's any direct financial
18 benefit to customers from receiving any more or any
19 less information, but I think, you know, Company
20 Witness West and Blankenship and everyone else who
21 has discussed that AMI, you know, they all have
22 their reasons for it, and there's -- you know,
23 overall we need it because of the obsolescence of
24 the AMR meters, and I think if you wanted to look at
25 a direct benefit for potentially a low-income

1 customer, it's that flex pay program Mr. West
2 discussed.

3 Q. Okay. And within the areas that you work,
4 are you familiar with any utilities that have
5 prepayment or split billing programs that don't use
6 AMI?

7 A. I am not. I know Public Service Company of
8 Oklahoma worked for the better part of a decade to
9 try and implement a prepay program on AMR
10 technology, and it was very difficult. I don't
11 think it ever got across the finish line until we
12 did roll out AMI there.

13 Q. Okay. Are you familiar with any studies
14 indicating that low- and fixed-income customers of
15 Kentucky Power have elasticity in their electricity
16 demand and have opportunities for further reduction
17 in usage based on that information?

18 A. You kind of flipped out there as you put your
19 hand over your video. Could you repeat that?

20 Q. Yeah. I'm sorry. Are you familiar -- aware
21 of any studies indicating that low- and fixed-income
22 customers of KPC have elasticity in their
23 electricity demand and have opportunities to further
24 reduce their electric usage in response to getting
25 more data about their usage?

1 A. No, I don't have any studies like that. And
2 again, as I discussed earlier, I think a lot of the
3 Company's load with the amount of electric heating
4 customers we have is somewhat nondiscretionary.

5 Q. Okay. Residential customers like Tariff RS
6 don't have demand charges and don't have time-of-day
7 rates unless they are using that voluntary tariff;
8 is that correct?

9 A. That's correct. If they -- what we would
10 essentially call a two-part rate. You have a basic
11 service charge and you have an energy charge --

12 Q. Right.

13 A. -- and the percent of revenue on the end of
14 it, as we discussed with Mr. Spenard -- Mr. Spenard.

15 Q. Okay. And you're not proposing any
16 time-of-day rates for all residential customers
17 under the AMI initiative; is that correct?

18 A. No, sir.

19 Q. Do you know whether the Company has
20 considered what an investment comparable to the cost
21 of AMI in weatherization, replacement of housing
22 stock with radiant heat, that has radiant heating,
23 or other measures that would assist the customers to
24 be able to use less would do in terms of actually
25 allowing customers to lower their costs and better

1 manage their budgets?

2 Has there been any -- the assumption of the
3 other witnesses, at least, is that, armed with this
4 information, people would be able to reduce their
5 usage, and you seem to suggest that's not
6 necessarily the case.

7 A. Well, I think more customer information is
8 always good. I think if you have more, to the
9 extent you have discretionary load, you could make
10 those choices, if it exists, right? But
11 nondiscretionary load such as heating, cooling,
12 those are what they are. I'd like to focus more,
13 from a customer standpoint, on that flex pay program
14 where you can give customers more options in how
15 they are billed and how they pay for their bill.

16 But, no, I mean, it also gives us the
17 opportunity to do more, if, in the future, you have
18 a lot of interest in some sort of peak-reduction
19 program or something, a smart thermostat program
20 that goes with some sort of EE investment in the
21 future, right, AMI helps enable those types of
22 technologies.

23 Q. Oh, okay. And you're aware that all of the
24 EE programs that KPC had have now been eliminated,
25 other than the KT program?

1 A. Yes, sir.

2 Q. Okay. And the -- Kentucky Power has provided
3 testimony that a formal cost-benefit analysis was
4 not performed. In part, the testimony was that,
5 quote, many of the benefits are not readily
6 quantifiable, but that the customer reliability and
7 cost-savings benefits are, quote, sufficient to
8 support AMI's implementation, end quote.

9 How, without conducting a formal cost-benefit
10 analysis, can the Commission be assured that the
11 benefits will exceed costs?

12 A. Well, from my standpoint, I need billing
13 information to bill customers and make rates, and to
14 the extent that our meters are failing, we need
15 meters. And obsolescence is the basis for our AMI
16 proposal in this case, and, you know, as -- I'm not
17 the metering expert, Mr. Blankenship is, and he
18 discussed that our meters are obsolete. So
19 regardless of what the overall costs and benefits
20 are, we need meters to provide service. You know,
21 Mr. Phillips, I believe, did talk about reliability
22 improvements that could happen, you know, for faster
23 restoration times and all that.

24 So if you -- if you're going to quantify
25 that, you have to go and do some sort of broad-based

1 economic study and say what is the value of the
2 Company's grid, how much does an interruption of
3 that service to the service territory reduce total
4 economy, and, you know, we haven't done anything
5 like that because, again, it's the Company's
6 position we did not need to because its
7 infrastructure is obsolete and needs to be replaced.

8 Q. Okay. But there are other alternatives to
9 going with AMI technology, are there not?

10 A. I think there's that guaranteed most-cost
11 road that Mr. Blankenship discussed, where we could
12 upgrade to another breed of AMR and then
13 subsequently upgrade to AMI as it goes away.

14 Q. Well, when you put AMI in place, you're going
15 to subsequently have to upgrade and replace it as
16 well, are you not?

17 MS. BLEND: Your Honor, at this point I'm
18 going to object. This is far outside the scope of
19 Mr. Vaughan's testimony in this case, and as he's
20 explained repeatedly now, he's not an expert with
21 regard to metering technology. That expert was
22 Company Witness Blankenship, who has previously
23 testified.

24 CHAIRMAN SCHMITT: How much longer do you
25 have, Mr. FitzGerald, before we --

1 MR. FITZGERALD: Actually, this is the last
2 question, Mr. Chairman.

3 CHAIRMAN SCHMITT: Well, can you answer the
4 question -- the last question, Mr. Vaughan?

5 A. Can you repeat it?

6 Q. Mr. Vaughan, the -- you referred back to
7 Mr. Blankenship's testimony as being -- the
8 high-cost alternative would be going to an -- the
9 AMR technology with the SCM Plus and then having to
10 upgrade to AMI. Is that fair?

11 A. Yes, sir.

12 Q. Okay. Do you know what the useful life of
13 the AMR with the SCM Plus meters are?

14 A. I don't know the AMR SCM Plus, what the
15 useful life there is. I know we assumed from the
16 manufacturer a 15-year useful life of the AMI meters
17 and that's what was incorporated into my GMR revenue
18 requirement calculations from a depreciation
19 standpoint.

20 Q. Okay. So at some point they will have to be
21 replaced too; is that correct?

22 A. Yes, with whatever the next thing is, but
23 yes, we require metering infrastructure. I totally
24 agree.

25 Q. Okay. And I will leave it at that.

1 MR. FITZGERALD: And, Mr. Chairman, I
2 appreciate your indulgence.

3 Mr. Vaughan, I'm sorry if I was testifying
4 when it was your turn up, but I appreciate you have
5 been the cleanup batter.

6 And I am no longer standing between everyone
7 and lunch. Thank you, Mr. Chairman.

8 CHAIRMAN SCHMITT: All right. We will now be
9 in recess until 1:00 p.m., at which time Mr. Miller
10 or Mr. Childers, on behalf of Sierra Club, will
11 be -- have the opportunity to cross-examine the
12 witness. So thank you.

13 (Recess began at 12:06 p.m.)

14 CHAIRMAN SCHMITT: Okay. Mr. Miller, you may
15 begin your cross-examination.

16 CROSS-EXAMINATION

17 By Mr. Miller:

18 Q. Good afternoon, Mr. Vaughan. How are you?

19 A. Thank you. Doing well.

20 Q. Great. Matt Miller with Sierra Club. I
21 don't have too many questions in light of extensive
22 lines that have been posed to you already.

23 First question, I just want to confirm did I
24 hear you right, when you were speaking with Spenard,
25 that if and when there is some form of carbon

1 pricing that's instituted, at that point the Company
2 would need to recalculate whatever the prevailing
3 net-metering tariff concerning generation costs
4 exists at that point?

5 A. Yes. Again, it depends. It may be
6 automatically included, right? If there's a carbon
7 adder in PJM or some sort of a carbon tax that
8 affects the LMPs in PJM, you know, by essentially
9 creating a higher dispatch cost or fossil units not
10 flowing through the marginal cost of energy, I think
11 it would be automatically included.

12 But, again, I'll go back to my RGGI example
13 earlier. If it is some sort of carbon cost that is
14 load-based versus source-based, yeah, I think
15 definitely we would want to -- the intention is to
16 fully include the actual financial avoided costs.

17 So, again, in that RGGI example I gave, in our
18 Virginia company, right? Doesn't matter what the
19 company is loading, matters what the sources are for
20 carbon tax or charge based on that. So the customer
21 reducing load doesn't reduce carbon cost. But, if
22 there was some sort of load-based carbon charge,
23 then, yes, you'd want to include that in the avoided
24 cost rating.

25 Q. Very good. I want to ask you if -- well,

1 I'll circle back to that.

2 You were discussing, I believe with
3 Mr. Fitzgerald, statutory provision that permits
4 utilities to cap new net-metering customers when
5 cumulative generating capacity of net-metering
6 systems hits 1 percent of the company's single-hour
7 peak load?

8 Is it your understanding that that is a
9 mandatory cap, or could a utility choose to offer
10 net metering beyond that 1 percent if it wished?
11 I'm not asking for a legal conclusion, but just your
12 understanding.

13 A. Obviously, I don't have a legal opinion
14 there, but I believe the words say "the Company
15 shall have no further obligation."

16 So, I mean, again, what one person may look at
17 that as we can do it on our own, the Company, and
18 some may say that the Commission has to approve that
19 or the Commission would weigh in on that, but --

20 Q. And that's totally fair. I'll just ask you
21 did you ever consider, or were you ever asked to
22 consider allowing to design a tariff or otherwise to
23 plan or consider what the Company's offerings would
24 be if the 1 percent cap were not imposed?

25 In other words, are you aware -- did you ever

1 consider or were you ever asked to consider what
2 differences in any there may be for the tariff if
3 the 1 percent cap were not imposed?

4 A. Right. I think definitely consider that. I
5 think you can look to our current tariff book to see
6 what that might be. Right now a customer that puts
7 in a distributed solar resource doesn't have to be a
8 net-metering customer. They could sign up for a
9 cogen STD tariff as a coal power producer and sell
10 the output of a facility based on that.

11 So, you know, essentially, as I mentioned in
12 my direct testimony, these are essentially PURPA QF
13 projects. You know, they're small power facilities,
14 and some sort of avoided cost rate like that of a
15 PURPA rate would make a lot of sense.

16 Q. Okay. What is your understanding of why the
17 1 percent cap is being imposed? Is it just that it
18 is permitted by the statute, or is there an
19 affirmative reason why that makes more sense for the
20 Company and its ratepayers?

21 A. No idea why the legislators put that in
22 there.

23 I was not in the room.

24 Q. And sorry. Just so I'm clear. Not why was
25 the statute passed by the legislators, but why is

1 the Company -- just assume for a moment -- and, you
2 know, not holding you to this interpretation, but
3 assume that it is a permissive, not a mandatory cap.
4 Are you aware of any reasons why the Company is
5 choosing to impose the cap apart from it being
6 allowed by the statute?

7 A. Yeah, I get you. I mean, I think if
8 net-metering rate design evolved to the place where
9 everyone was truly indifferent, then there would be
10 no reason to, but if, you know, that's what we're
11 moving forward to with NMS II where you're
12 compensating at avoiding cost rates for that excess
13 generation.

14 There's still some netting in there where
15 you're volumetrically netting billable kilowatt
16 hours, and there could still be some financial
17 inequalities there.

18 So in theory in the future, if you got to
19 where you're indifferent to whether a customer takes
20 service under NMS, whatever it is at that point, and
21 cogen SPP, I don't see why you would choose one or
22 the other.

23 Q. I see. So am I understanding your meaning
24 correctly, when you say "indifferent" and implying
25 that it's not indifferent now, that even when the

1 Commission approves -- you know, either approves or
2 institutes a new net-metering tariff under the
3 statute, is it your contention that there would
4 still be some subsidization that would still be
5 occurring?

6 You know, at the end of this case that means
7 the Company still wouldn't be indifferent even after
8 the Commission, you know, approves the new rate.
9 Does that make sense?

10 A. I mean, it's -- you know, like we talk about
11 in all those high-level rate design principles --
12 gradualism and taking steps towards cost causation
13 and all that, we're taking steps to remove subsidy.
14 We're not getting all the way there. It depends on
15 whose subsidy you look at.

16 Obviously, you look at AG KIUC Witness
17 Baron's -- what he thinks would be the way to skin
18 it would be to go at a buy all/sell all. Right?
19 Where you would sell at an avoided cost rate, like
20 QF PURPA rate, and then you would charge the
21 customer full retail load.

22 Ours is definitely between that and the old
23 volumetric 100 percent of the retail rate, and the
24 reasons I say there is -- ours being an NMS II
25 proposal or somewhere there in the middle.

1 And the reason I say there would still be
2 some -- there's still some level of subsidy there
3 because of the sheer amount of distribution, you
4 know, wires, fixed cost, infrastructure costs we
5 that including volumetric rates. Right? So maybe
6 rate design evolves over time, you know, and it
7 eliminates some of that as well, but as we sit here
8 today with 90 percent volumetric charge, you know, a
9 lot of fixed costs in there, there's still some
10 level.

11 Q. Thanks. So it sounds like you were listening
12 in when Mr. Mattison testified last week. He said
13 at one point -- great. Something along the lines of
14 Company's rates -- the Company taking into account
15 customer's ability to pay as well as AEP's carbon
16 goals and that the Company believes that its rates
17 should reflect these.

18 Do you recall that? Does that sound accurate
19 at a high level?

20 A. I remember the discussion, yes.

21 Q. Okay. I'm wondering -- well, first on -- on
22 jobs and customers' ability to pay and the local
23 public interest, is the EDR rider the only mechanism
24 for taking into account customers' ability, or does
25 the kind of the tariff in chief also meant to factor

1 that in? Do you know what I'm getting at?

2 A. Factor what in?

3 Q. Well, sensitivity to customers' ability to
4 pay. What I'm trying to get at is kind of an
5 analogy.

6 Were you listening when Witness McKenzie was
7 testifying about rate of return?

8 A. I was listening, but there was --

9 Q. And I don't mean to characterize that
10 testimony too much, but there was a discussion about
11 whether -- you know, his testimony kind of crunched
12 the numbers, so to speak, indifferent to
13 considerations that the Commission might take into
14 account in fashioning rates, including customers'
15 ability to pay.

16 And he said we're providing the numbers within
17 the confines of, you know, this market analysis, and
18 then the Commission can do what it will in
19 fashioning rates that might be more realistic or
20 take other things into account.

21 A. I think his testimony was that he was
22 providing his expert view of what the cost of equity
23 capital is.

24 Q. Very good. More precise.

25 And so I'm trying to get, analogously, in your

1 rate design, apart from -- you know, before getting
2 to the EDR rider, does -- is -- is the, you know,
3 cost-of-service analysis and then the rate that is
4 proposed, the tariff that's proposed based upon
5 that, is that strictly kind of based on, you know,
6 just the cold math about the classes and their
7 shares and subsidies and not, you know, what I might
8 call more public interest considerations, customers'
9 ability to pay, and that kind of thing?

10 A. So I won't refer to it as cold math since I
11 math all day every day. It's very near and dear to
12 my heart.

13 But, no, the revenue requirement is
14 statutorily driven, you know, minimum filing
15 requirement, accounting, financial-data type
16 calculation. You know, it is what it is.

17 And then I think when you look at customers'
18 ability to pay, you have to look at the total suite
19 of what we have proposed in this case between the
20 various mitigation measures, the first-year offset,
21 the discussion that I had earlier with several folks
22 about where our rates have gone down over time, and,
23 if we were to get our full ask in this case, we're
24 kind of getting back to where we were four years
25 ago, and that wouldn't go into effect for another

1 year.

2 So all those things are taken into account
3 when you're thinking about ability to pay and what's
4 going on right now in the territory and the world in
5 general with the pandemic.

6 And on top of that, you look at our rate
7 design, and I know we fundamentally disagree on a
8 lot of things like service charges, but we are
9 looking at all customers, and we have a lot of
10 customers that are paying more than their -- their
11 share of the fixed costs contribution for things
12 like distribution infrastructure, you know, with the
13 heavily weighted energy rates.

14 So moving -- moving the fixed charge up to
15 what -- the basic service charge increase to kind of
16 be in line more with our peers and the winter
17 declining block to help some of those electric
18 heating customers that are paying that
19 disproportionate share of fixed cost contribution in
20 the winter months when their usage spikes. I think
21 all those things in concert go into what we're
22 looking at from a cost-of-service rate,
23 affordability, everything.

24 Q. That makes sense. Now, I just want to see if
25 I have it right. Is it correct to say, then, that

1 -- so let's say we're thinking about in a local
2 economic impact -- oops.

3 Okay. You know, local economic challenges for
4 a class of customers, say, is it right to say that
5 the standard tariff in chief for residential
6 customers at large, let's say, does not factor that
7 in, but that there are other programs; there are,
8 you know, payment plans, there are DSM, there's the
9 EDR rider, that these things kind of come in on top
10 of that to get at that concern at the local economic
11 situation or -- is that -- is that fair to say?

12 A. In part. Another -- another portability
13 measure we looked at here in Witness Baron, AG KIUC,
14 also discusses it, our class cost of service study
15 shows that there was a fairly large subsidy being
16 paid to the residential class, and that crops back
17 up in our -- that our industrial customers are
18 paying that.

19 So would we have liked to have reduced that
20 subsidy in this rate case? Yes, we'd like to move
21 towards cost of service there, but because of the
22 affordability and the other issues we discussed, we
23 chose not to, and, you know, Witness Baron discusses
24 that. And he -- he had, you know, a similar
25 conclusion that now wasn't the time to do that.

1 You know, that's a hard decision, especially
2 when you have that higher cost in your industrial
3 rate as you're trying to attract more businesses,
4 service territory, and retain existing business that
5 provides jobs and a lot of economic benefits in the
6 service territory. You know, you got to look at all
7 those things. And that was a hard decision around
8 affordability that we made in this rate case.

9 And you are correct, there are other tariff
10 provisions that also try and address affordability,
11 your payment plans. And, hopefully, Mr. West's flex
12 pay in the future and, hopefully, the EDR tariff
13 keeps attracting new business, and that grows. But
14 yeah.

15 Q. Okay. Okay. Good. That helps me with
16 affordability and jobs.

17 Let's take another issue or two that, you
18 know, aren't as squarely in the traditional, you
19 know, obvious core of ratemaking perhaps. But let's
20 say the Company or the parent company wants to make
21 strides on public health. They have concerns about
22 children's asthma or our own climate. And they have
23 these goals, and they want to -- say they want to
24 move away incrementally from fossil-based
25 generation.

1 And then that can have, you know, a direct
2 financial calculation too in terms of the Company
3 attracting institutional investors. And we've heard
4 some testimony about that.

5 So let's say that they want -- the Company
6 wants to do this. Does that ever get built into
7 rate design as opposed to just -- I imagine it would
8 when the Company is making resource planning
9 decisions come into play. What do we do with this
10 fork in the road with a plan that we may have or our
11 needs for generation, but is it additionally ever
12 built into rate design, for instance, incentivizing
13 more clean distributed generation, or could it be?

14 That was a long-winded question.

15 A. Yeah. Let me try and answer for you. So we
16 -- in rate design and cost of service we include
17 cost of service and rate design items, so if there
18 is a sort of fungible cost that is incurred or can
19 be avoided, that's always considered. Or like the
20 Company's affiliate outlets, PEBCO and PSO who are
21 going to -- they're putting a \$2 billion wind farm
22 to help serve their resources going forward.
23 Obviously, that -- all of the cost and benefits of
24 that are going to be in its rates, you know, follow
25 through in rate design, you know.

1 And we don't -- in my experience, we don't
2 include things that are not a quantifiable cost of
3 service, you know. We generally would rely upon,
4 you know, state and federal folks to incent that
5 such as they do outside of our electricity rates,
6 you know, unless told otherwise.

7 Q. I see. And so things like public health or
8 climate benefits would not be, in your opinion, a
9 kind of quantifiable cost of service in that sense?

10 A. We don't get a bill for what the residential
11 class incurred for X public health charge. You
12 know --

13 Q. Right.

14 A. -- that's not part of our electric service.

15 Q. And is it right, though, also, that
16 affordability for customers or economic development,
17 job creation or job maintenance are not quantifiable
18 cost-of-service items either?

19 A. No, that's totally incorrect. As I discussed
20 with Mr. Fitzgerald there, let's look at AEV
21 Exhibit 9, you know, rates are lower by a quarter
22 million dollars a year because our EPR tariff
23 worked, and if we have more success there, rates
24 will continue to go down.

25 I've worked on -- we have, as was mentioned

1 with Mr. West, we have a federal contract to
2 preserve a customer that was a main off taker or
3 main feed dock to AK Steel to help keep them in the
4 service territory. And, you know, had we not done
5 that, customers would be paying millions of dollars
6 more for electric -- for their electric service
7 because there's fixed costs associated with that
8 load. And, as it goes away, we spread those over to
9 fewer people. (Indiscernible) quantifiable.

10 Q. I see. So insofar as you can quantify them
11 through something like that, like the additional
12 retention or loss of customers that affect -- of
13 electricity customers that affect rates, and that is
14 included, but not -- and you can confirm --
15 something that's a little -- it's perhaps not
16 quantifiable, but it's certainly a compelling thing,
17 like just general hardship among the population, you
18 know, the concern apart from its impact on the
19 customer base, things like job loss, that kind of
20 thing; is that correct?

21 A. Nothing beyond what I've already discussed,
22 no.

23 Q. I see. That's helpful.

24 MR. MILLER: I think that's all I have,
25 Mr. Vaughan. I appreciate you talking with me.

1 Have a great afternoon.

2 CHAIRMAN SCHMITT: Mr. Frye, any questions?

3 MR. FRYE: I have no questions, Mr. Chairman.

4 CHAIRMAN SCHMITT: Vice Chairman Chandler,
5 questions?

6 VICE CHAIRMAN CHANDLER: Yeah. Thanks,
7 Chairman. Can you hear me? Can anybody hear me?

8 EXAMINATION

9 By Vice Chairman Chandler:

10 Q. Mr. Vaughan, can you hear me?

11 A. Yes.

12 Q. Okay. Great. So it's been a long day. I
13 have a lot of things left over. I don't know if you
14 know this, Mr. Vaughan, but Post-it notes are made
15 almost exclusively in the state of Kentucky. And by
16 the look of my desk, I robbed them over the weekend.

17 So I have a lot of little notes that are left
18 over from questions I asked other people or leftover
19 follow-ups I have from where other people asked you
20 questions.

21 A. I take scribbles.

22 Q. It's about what mine look like. So I'm going
23 to jump around a little bit. So bear with me. If
24 you need -- you know, if you have no idea what I'm
25 talking about, that probably makes two of us.

1 So the first place is do you remember
2 Ms. Whitney's testimony earlier -- can't be earlier
3 this week -- last week on OPEB and pension
4 prepayments included in the cost of service in this
5 case?

6 A. Yes.

7 Q. Okay. And do you remember me asking her
8 questions about how, you know, that -- that there
9 was a prepayment in existence when the Company filed
10 its 2017 rate case? Do you remember that?

11 A. I do remember that, yes.

12 Q. Okay. And I think -- and correct me if your
13 memory is different, but as I remember it,
14 Ms. Whitney said that they were in existence in 2017
15 and that they would have been holistically
16 considered, both the pension and the OPEB, in the
17 capitalization, but not necessarily -- they weren't,
18 as I understand it, reflected in the rate base in
19 that case.

20 Is that your understanding as well?

21 A. So the -- I believe that's correct. It's
22 holistically included in the capitalization. I do
23 believe the pension asset was included in the rate
24 base in that case, but the OPEB might not have been
25 explicitly due to it was fairly small at that point.

1 It would have been one of the differences between --
2 in total between the overall capitalization and the
3 overall illustrative rate base in that case.

4 Q. And that's what I want to ask about, is the
5 difference between those two. So you're right. I
6 understood that pension was noted as a component of
7 rate base, but OPEB was not. Are we on the same
8 page with that?

9 A. Yeah, I think that's fair.

10 Q. Okay. So how is it that rate base and
11 capitalization reconciled in the 2017 case if the
12 OPEB was not identified as a rate base component in
13 that matter?

14 A. When you say "reconciled," they didn't equal,
15 but when you then look at all the other balance
16 sheet amounts, there's something in there that
17 brings the two together. So it would have been a
18 reconciling item in that other balance sheet amount
19 to get you from capitalization of rate base, rate
20 base to capitalization.

21 Q. Yeah. And I understand that they don't
22 necessarily equal, which is why you reconcile them,
23 right, you note the differences. My question is why
24 wasn't OPEB noted as a difference between the two?

25 A. I would assume it's in a larger variance,

1 some other category of accounts that's in there and
2 noted as a variance.

3 I mean, it's definitely part of the difference
4 if we didn't include it in rate base. They're both
5 capitalized cash assets on the company's books and
6 included in capitalization. So it just wasn't -- it
7 was pretty small at that point in time, so it was
8 probably not picked out as a subset of some other
9 balance sheet category that wasn't included in rate
10 base.

11 Q. I believe the pension remands were included
12 as a discrete rate base item. Is that your
13 understanding?

14 A. That's -- that's right. They were much more
15 material. I can't remember how many millions, but
16 it was much larger.

17 Q. Okay.

18 A. I think OPEB started out small, and it's been
19 growing since that time.

20 Q. Look at us, making progress already. Okay.

21 So second item. I just want to make sure that
22 I'm clear from, I think, a couple of questions you
23 were asked earlier about the only difference -- this
24 is what I'm understanding here -- the only -- as it
25 relates to base rates, the only change on

1 December 8th that will occur in terms of the costs
2 the Company incurs as it relates to the UPA is the
3 reduction of approximately \$57.4 million in expenses
4 in Account Number 5550027.

5 Is that your testimony?

6 A. Yes, Your Honor. That's the adjusted test
7 year amount that's in our rates in this rate case.
8 That's the demand. That purchase power account
9 there you just quoted is the purchase power demand
10 portion of the UPA bill.

11 So and again, just a quick distinction there,
12 that there's a portion of that in base rates and a
13 portion of that included in environmental surcharge
14 (indiscernible) point.

15 Q. Yeah. And what I want to make clear, the
16 environmental surcharge will true itself up, right?
17 That savings will fix itself.

18 I'm asking specific to if the Commission does
19 nothing, right, just lets things stay the way they
20 are, there will be that \$57.4 million reduction in
21 test year expense that the Company will no longer
22 incur. Correct?

23 A. That's right, but it's already been fixed in
24 the settlement in the last rate case, the 2017-00179
25 to the fixed cost savings.

1 Q. And that's what I want to get to. And so
2 correct me if I'm wrong, but as I understand it, to
3 the extent the Company is not earning its authorized
4 ROE in that following calendar -- is it that
5 following calendar year that it's related to or the
6 2020 -- 2022 that it's related to?

7 A. It's just in 2023, the following calendar
8 year after the UPA expires.

9 Q. Okay. So I guess the first question is that
10 doesn't speak to that -- let's call it 23 days,
11 right? That the Company will continue to recover
12 that cost, recover that amount through rates at a
13 23-out-of-365 rate, right, when they don't incur the
14 expense for 2022. Is that right?

15 A. I don't think that's entirely true. I think
16 the way the words are in the settlement agreement is
17 that would begin going into the PPA deferral
18 calculation at that point. I think you get the --
19 right, you're going to be, oh, 20 -- 23/31st of that
20 there in December.

21 Because there's deferral accounting balance of
22 PPA each month. So you're going to start accruing a
23 credit for that fixed cost reduction when it
24 happens, and the only difference is that there in
25 2023 there's that one-year provision for the Company

1 to use a portion of that fixed cost savings to earn
2 its Commission-approved ROE.

3 Q. Okay. That's what I want to get to. So
4 there will be a savings of \$57.4 million for the
5 calendar year 2023, assuming base rates stay the
6 same, right?

7 Assuming there's no change in 2021 or 2022,
8 the proposal from the case that was adopted, the
9 settlement, is that that 57.4 will be used by the
10 Company to earn its authorized ROE, and the
11 remainder, if it earns its ROE from -- let's say
12 they need 20 million of that amount to earn its ROE,
13 and there's excess, that will be flowed back to
14 customers through tariff PPA. Is that your
15 understanding?

16 A. Again, taking the environmental surcharge
17 into account. I don't know how much of that is in
18 there, if that happens automatically, but yes,
19 during 2023, if the Company is \$5 million short of
20 earning its allowed ROE, the way that settlement and
21 the PPA forms are set up to work is that first 5
22 million, then, would go to increase the Company's
23 ROE, the authorized, and the remainder of the
24 fixed-cost savings would flow through the tariff PPA
25 to the customers as a credit.

1 Q. Okay. So I want to come to the second part
2 of that which is -- sorry. I'm marking things off
3 as I ask them.

4 How does the Company calculate its earned ROE
5 in between rate cases?

6 A. So it is -- for that purpose right there, you
7 have GAAP, and you have ongoing, and all the
8 reporting measures, but there's actually -- in the
9 Commission-approved forms for a tariff PPA, there's
10 already a calculation set out in there, and I do not
11 remember it offhand. We can (indiscernible).

12 Q. Yeah, let me ask this question: If the
13 Company -- if the Company is denied cost recovery
14 for -- I'm just going to make up a number, right --
15 for -- well, the AG's office has proposed an
16 additional adjustment for EEI dues. You're aware of
17 that, right?

18 So just hypothetically the Commission denies
19 all EEI dues at some certain amount, a test year
20 amount, right? And in 2023 the Company actually
21 incurs its -- the entirety of EEI dues, right? They
22 continue to participate in EEI as a member with AEP,
23 they continue to get costs allocated to it, and they
24 write the check for it, right?

25 When the Company is calculating its actual

1 ROE, are they doing it on the basis of assuming the
2 amounts that were denied recovery from the
3 Commission, or do they include those in their
4 calculation?

5 A. I'm not a hundred percent sure that that was
6 contemplated in that calculation. And, honestly, I
7 would need to go back and look at it, but I'm just
8 not certain at this time.

9 It's in the forms that are approved by the
10 Commission. I would need to look at what that is
11 for tariff PPA. That actual calculation is already
12 laid out that, you know, based on the facts, that
13 settlement at that time, that was the deal going
14 forward.

15 Q. Do you understand the -- sort of the
16 background of my question is that --

17 A. I get what you're saying, yes, sir.

18 Q. -- 2023 it will be immaterial what the
19 Commission denied in recovery for this. It will
20 only matter what the Company actually incurred in
21 terms of costs.

22 A. Yes, sir.

23 Q. Okay. And on that note, you were throwing
24 out a 5 percent number earlier in terms of the
25 Company's actual earned ROE over a certain time

1 horizon.

2 Do you remember that?

3 A. Yes. That's from Company Mattison's rebuttal
4 testimony.

5 Q. Yeah, and does the Company calculate that on
6 the costs actually incurred or the costs allowed for
7 recovery by the Public Service Commission?

8 A. I'd -- the basis for its calculation is -- I
9 did not do it, but I would assume it's like a GAAP
10 view. So it's going to be what the Company actually
11 has financed, you know, for providing utility
12 service and then what its actual costs and revenues
13 are, so it's an as-incurred as-received basis.

14 Q. Okay. And that's an important distinction,
15 isn't it? Because if the Commission denies -- I'm
16 making another amount up here. If the Commission
17 denies some costs, right, whether it's a pension
18 cost or a somebody's salary, and the Company
19 continues to go ahead and incur it and just decides
20 that it's worth it for the Company to continue to
21 incur that cost even if you don't get base rate
22 recovery, is it your understanding that the Company
23 will continue to calculate their earned -- actual
24 earned ROE, including that cost, in the calculation?

25 A. Yeah, it's actually the costs we're

1 incurring, so it would be included in the Company's
2 return.

3 Q. Would you agree that that's a disconnect,
4 then, when the Company states what its earned ROE is
5 versus what its allowed ROE is, that one includes
6 costs that the Commission explicitly did not allow
7 for recovery of?

8 A. I don't necessarily think it's a disconnect.
9 I think it's a compromise based on the facts in that
10 case and the amount of fixed costs from that UPA
11 that are in the base rates, right?

12 I mean, if -- but for that settlement
13 agreement, the Company -- let's just assume -- let's
14 assume we're earning at our earned ROE and, for some
15 reason, we wanted to make a windfall going forward
16 at that point. We could just stay out until someone
17 complains and we come in.

18 With that settlement, customers get the
19 benefit of reduced costs from day one when that
20 happens. You know, everyone talks about regulatory
21 lag and drag. That's just the other side of it. In
22 this way, based on that settlement at that time, the
23 Commission approved at this point, the customers get
24 that benefit day one. So I hear what you're saying,
25 Your Honor. I don't -- I think it's a compromise.

1 Q. I just want to be clear. I'm not even asking
2 anymore about 2023. I was saying -- I was asking
3 about Mr. Mattison's testimony where he talks -- he
4 talks about specifically what the Company has earned
5 over the last year or two.

6 But you would agree that the Company is most
7 likely incurring expenses that the Commission found
8 unreasonable for recovery in rates, right?

9 A. I totally disagree. I do not think we have
10 anything in our rates that has been disallowed in
11 the past.

12 Q. So there was nothing in the last settlement
13 that was removed as an adjustment to test year
14 expenses that you think the Company has continued to
15 spend?

16 A. Nothing that got removed in that settlement
17 agreement that was approved by the Commission at the
18 time was deemed to be unreasonable or imprudent. It
19 was just removed for purposes of that settlement,
20 and everyone that was a party to that settlement had
21 the opportunity to come and relitigate those issues
22 in the next rate case.

23 Q. Yeah, but what I'm saying is those were
24 removed from rate recovery from customers, right?

25 A. As part of the compromise in the settlement.

1 Q. Yeah, and I'm not talking about any of that.
2 I'm saying that the Commission determined rates that
3 were calculated not including specific expenses,
4 correct?

5 A. Yes, Your Honor. And a good example of that
6 is the Company, as part of the compromise, decided
7 to not -- you know, to essentially take to the
8 bottom line 20 percent of FERC-approved transmission
9 charges as part of the compromise. It doesn't mean
10 they're imprudent or shouldn't be incurred or that
11 we don't have to pay for them. It's just it was
12 part of the deal that got everyone, besides the AG's
13 office, to yes on that settlement agreement.

14 Q. Yeah, but that's not what I'm talking about.
15 I'm saying in this case, let's say that the
16 Commission decides that the Company can't recover
17 the expenses to mow the yard at -- or the lawn at
18 AEP, Kentucky Power's headquarters, in Ashland,
19 right?

20 It's a \$50,000-a-year expense, and the Commission
21 says it's unreasonable, and you should let it grow,
22 right?

23 That is an expense that the Company is going
24 to continue to incur moving forward, right? If they
25 continue to mow it, that's 50 grand it will -- will

1 be a cost, but you would agree that the Commission
2 denied that for rate recovery, right?

3 A. Certainly.

4 Q. Okay. And so assume all things equal, right?
5 And that but for that \$50,000, the Company was going
6 to earn its authorized ROE in the next calendar
7 year, right, but they couldn't -- but I'm just
8 saying -- but I'm asking, when the Company
9 calculates on a GAAP basis their earned ROE, right,
10 are they taking out that 50,000 from the
11 calculation, or do the rates -- are their rates
12 insufficient to have a 9.5 percent ROE because it
13 was denied recovery from the Commission?

14 A. Yeah, I think that hypothetical \$50,000 of
15 mowing expense is included. It's a drag on the ROE.

16 Q. Okay. That's what I want to make sure. So
17 when a company says that it hasn't been able to meet
18 its ROE -- when Kentucky Power says it hasn't been
19 able to meet its ROE, I just want to make sure that
20 I'm clear that it's not removing from that
21 calculation those costs that the Commission denied
22 recovery for.

23 A. I'm not aware of any costs the Commission has
24 denied recovery for, sir.

25 Q. You're not --

1 A. (Indiscernible.)

2 Q. You're not aware of any expenses in the last
3 rate case that were removed pursuant to the
4 settlement?

5 A. Sir, my -- Your Honor, my position is that
6 everyone compromised in that settlement, and certain
7 costs were removed. As part of the overall
8 compromise, certain costs were added, certain costs
9 were removed. And nothing was deemed imprudent.
10 Nothing was disallowed.

11 Q. I'm not talking about anybody deeming things
12 imprudent. I'm specifically talking about costs not
13 being included in the determination of the revenue
14 requirement. Does that make sense?

15 A. No, you're absolutely right. Rates were
16 lowered by those amounts because of the compromise,
17 yeah.

18 Q. But insofar as the Company continued to incur
19 those costs, they were not reflected in the
20 Company-approved revenue requirement, right?

21 A. Yeah. Absolutely. That's why it's one of
22 the reasons the ROE is low, and that's why we're
23 here talking last week and today.

24 Q. And that's what I want to make sure of, is
25 that when you say a 5.something ROE, when Mr.

1 Mattison is discussing a 5.something ROE, that is
2 inherently -- insofar as the Company is incurring
3 costs that are not -- that were explicitly not
4 included in the Company's most recent revenue
5 requirements and thus not reflected in its rates,
6 would you agree there's a disconnect?

7 A. Yeah, there's a small disconnect, like served
8 and whatever other items that were removed or
9 reduced in the last rate case. I think incentive
10 pay was reduced a little bit, again, to get all
11 parties in agreement there. Those aren't material
12 -- that isn't the \$70 million that we're here
13 looking -- looking for, you know, from the base rate
14 increase standpoint to get us up to the Company's
15 proposed authorized ROE.

16 But yes, you're right to the extent,
17 everything else being equal, those costs were not in
18 the rates that the Company put in back in 2018, so
19 those revenues are not contributing towards the
20 earned ROE right now.

21 Q. I just want to -- I'm not asking about
22 anything specific or -- I'm trying to figure out how
23 the Company, in between rate cases, determines what
24 its earned ROE is and whether it relates back to the
25 approved rates, and so that is very helpful on that

1 issue.

2 A. It also relates to the test year, you know,
3 level of sales and whatnot. You know, the Company
4 was hoping for more balance from economic
5 development between rate cases last time, and that
6 wouldn't have been included in our sales level. So
7 we took that risk hoping we were going to grow a
8 billion units, and not all of it panned out in time.
9 So --

10 Q. I appreciate that. Again, I'm just trying to
11 figure out how it's calculated in the interim or
12 what's taken into account. Okay?

13 A. Yes, (indiscernible).

14 Q. Say that again?

15 A. It's as earned, just like (indiscernible).

16 Q. Just straight math. Okay.

17 And on that -- on that, are you aware that the
18 Company has proposed to the Commission a deferral of
19 storm expenses incurred in the year 2020?

20 A. Tangentially. I was not involved in that
21 filing.

22 Q. Okay. But I guess my question is -- and just
23 to relate it back -- insofar as the Company is
24 asking to defer storm expenses that were incurred in
25 a year, those are currently expenses until the

1 Commission defers them, correct? Or grants
2 deferral?

3 A. Yeah, unless -- unless we have permission to
4 defer them, they are expenses on the books, you're
5 correct.

6 Q. Okay. And so insofar as they're currently
7 expenses on the book, those would be a drag to ROE,
8 but that would -- a deferral order -- or an order
9 deferring those amounts would change that
10 calculation on a year-end basis, right?

11 A. Yeah. All other things being equal, if you
12 defer costs, return should go up.

13 Q. Okay. Do you remember -- and I think I've
14 asked -- maybe you're the third or fourth person
15 about this -- the electricity sales in other states?

16 A. Yes.

17 Q. Have you scribbled anything down or do you
18 have anything to refer me to on answering the
19 question of why did Kentucky Power explicitly incur
20 sales expense for sales of electricity to -- let me
21 find the reference here on my notes -- Michigan and
22 Illinois?

23 A. Yes, Your Honor. So, first, if you look at
24 Section 5, Schedule 2, page 2 of 3, it shows the
25 computation and the weighting of that state tax

1 rate.

2 And so just under 1 percent of the proposed
3 state tax rate from the test year is Illinois and
4 Michigan. 88 percent is Kentucky, and 21 is West
5 Virginia where the Mitchell Plant is located.

6 And that small piece of Illinois and Michigan
7 is based on sales the Company makes in PJM. And PJM
8 supplies the tax department with the information
9 there that they need to file those state -- income
10 tax returns in those states.

11 So it's information provided by PJM to the
12 Company that triggered that less than 1 percent
13 weighting of Illinois and Michigan tax in our state
14 tax rates.

15 Q. Specific to Kentucky Power?

16 A. Yes, sir.

17 Q. Okay. So if we ask for that, could you
18 provide that documentation, the billing from PJM?

19 A. I can't, but someone in the tax department
20 can provide whatever guidance we received. So
21 there's no billing, right? We received information
22 that we then used as the basis for a state tax
23 return.

24 Q. Well, so the other question I have on that is
25 do you know if sales tax is included, or is

1 includable, in Kentucky Power's energy bids at PJM,
2 the cost-based bids?

3 A. These aren't sales taxes that we've been
4 discussing. These are income taxes based on sales.

5 Q. Well, excuse me, income taxes based on sales
6 includable as a line item expense in cost-based
7 offers with PJM?

8 A. It's been a long time since I have looked at
9 the -- the task force documents for cost-based
10 offers, so no, I do not know. You can certainly
11 include that in the market-based offer. I know that
12 for sure, but I do not know.

13 I would assume if there is an applicable tax
14 on, you know, fuel supply, it would be includable in
15 a cost-based offer, but I guess I can't say with
16 certainty just generic sales taxes.

17 Q. Let me ask this: If we asked a posthearing
18 data request on that, could somebody at the Company
19 provide that?

20 A. I'm pretty sure I could make Witness Stegall
21 provide one on that, yeah.

22 Q. I appreciate it. Were you watching the
23 hearing when I talked to -- and I think it may have
24 been Witness Wiseman and Witness West -- about the
25 -- the Company's data request responses in Case

1 Number 2020-00085 on customers' on-time pay
2 percentage during the months of 2020 as compared to
3 those '17, '18, and '19 averages?

4 A. Yes. And I think you're -- is that what
5 we've been referring to as the debt forgiveness
6 case?

7 Q. No, that is the Commission's -- the
8 Commission's docket -- general docket on COVID where
9 the Company was asked to provide what the on-time
10 pay percentage for each class was in the past three
11 calendar years and each month of 2020.

12 And do you remember conversations with -- that
13 I had with -- not specifics -- that I had a
14 conversation with Ms. Wiseman and Mr. West on that
15 issue?

16 A. Yes. More recently, Mr. West on Friday.

17 Q. And that -- that conversation was -- or at
18 least the basis of a late payment fee was discussed
19 in twofold. One is to incent -- or disincent, I
20 guess, late payments, right, to change customer
21 behavior by imposing a penalty, and the other was to
22 reflect -- I think Mr. West said something along the
23 lines of -- just give me one second here -- the cost
24 could pass through receivables maybe?

25 A. That's correct.

1 Q. The cost of financing those? So can you tell
2 me what the Company does with past-due receivables?

3 Let me ask this.

4 A. (Indiscernible.)

5 Q. What does the Company do generally with
6 receivables -- accounts receivables?

7 A. Right. So we factor with AEP credits, I
8 think as we discussed at great length, the last rate
9 case with the then-vice chair, but, yes, three
10 factors. (Indiscernible) receivables with AC credit,
11 and then there is a finance charge that comes back
12 based on the time value of money. And there's a
13 collection experience and bad debt that is all
14 rolled in there.

15 So to the extent a customer does not pay on
16 time, there is a cost to the Company of -- it flows
17 through the financing, right? So you have -- you
18 receive less of your receivables back. That's the
19 cost.

20 So I think that's what Company Witness West
21 was referring to when he was saying that the late
22 payment charge or late fees are helping to cover the
23 -- you know, essentially the increase in cost of
24 late payments or bad debt collection through the
25 factoring.

1 Q. Is that cost already accounted for in the
2 proposed revenue requirement, absent the late
3 payment fee revenues?

4 A. No. They're both in there. You have the
5 total cost of factoring is in there, and you also
6 have the total cost -- the total revenues received
7 in late payment fees.

8 So I think what he said, there's over
9 \$4 million in late payment fees in the test year.
10 So if you remove those, theoretically -- you know,
11 if we can't charge a late fee going forward to cover
12 that cost, the cost of service here in the revenue
13 requirement would need to go up by 4 million.

14 Q. Yeah, and the question I have is is the cost
15 of the late payment fee reflective of the actual
16 costs incurred by the Company? Let me ask it
17 differently.

18 What's the support for the amount proposed in
19 the tariffs for the late payment fee, and how does
20 it relate to the cost of account receivables?

21 A. I would need to look, but, offhand, I am not
22 sure if the amount of late fees in the test year is
23 equal to the amount of bad debt and higher financing
24 charges for the time value of money on the late
25 payments. I'm pretty sure we could give that to you

1 in a posthearing data request if you so wished.

2 Q. Hopefully this will be an easy one. Have you
3 seen the chart on Mr. West's rebuttal? I think it's
4 his third page on the rebuttal or his Table R3. I'm
5 pretty sure it's his Table R3 in my scribbled-down
6 notes. That he discusses the amortization of excess
7 unprotected -- excess ADIT on a revenue requirement
8 basis and then on a -- some other type of basis.
9 I'm not quite sure how to refer to the other type of
10 basis.

11 A. (Indiscernible) R3.

12 Q. Yeah. So let me just ask. There are two
13 amounts -- for the Company's proposal, there are two
14 amounts of excess. Those two charts, would you
15 agree, or that table, the two things laid out in it
16 represent the exact same transaction? Would you
17 agree with that?

18 A. Yes, Your Honor. The top part of that table
19 is actual ADFIT dollars as they sit on the balance
20 sheet. And so, as you amortize them, they have an
21 impact on income. And then to take that from the
22 income to what will be a revenue requirement you
23 gross up for state and federal taxes.

24 So that's the difference going from an ADFIT
25 figure to a revenue number. So to offset \$65

1 million in revenue, you amortize the \$48 million of
2 ADFIT.

3 Q. That's what I wanted to -- I appreciate --
4 that's very simple, and this is going to be a very
5 good place in the record to reference at some point
6 in the order, I think, that the -- there's a
7 \$48 million number -- without me looking it up -- is
8 that right, on the top part of the chart?

9 A. \$48,345,038.

10 Q. And we want to talk apples to apples. You've
11 heard of the -- and it was the amount previously --
12 earlier this year, but that is apples to apples to
13 that \$113 million amount of the excess ADIT, right?
14 That was the balance earlier this year of the
15 unprotected excess ADIT?

16 A. Yeah, I believe so. If it was talking in
17 terms of ADFIT, yes.

18 Q. Yeah, and so when we're talking about that,
19 the actual revenue -- just so I'm clear, the revenue
20 requirement impact of ADIT is effectively grossed
21 up. So it has a greater impact on a revenue
22 requirement than it does on a books basis. Is that
23 fair?

24 A. Yeah. Essentially, if you're trying to
25 offset \$1 of a revenue requirement, you amortize

1 70-ish cents of ADFIT.

2 Q. Perfect. Thank you.

3 I wanted to ask -- and I think it's just -- I
4 think it's a mismatch in words, Mr. Vaughan, but I
5 wanted to make sure that we're on the same page
6 about something that I understand is yours and the
7 Company's position.

8 Earlier you were talking about -- let me find
9 this here. I apologize. It will come to me in a
10 minute. Oh, Mr. Fitzgerald, I believe, was asking
11 you a question about the kilowatt hours put back
12 onto the grid from a net-metering customer insofar
13 as they are producing in excess of demand. Do you
14 remember talking to him about that?

15 A. We talked at great length about that, yes.

16 Q. And do you remember you saying something
17 along the lines of -- that -- that kilowatt hour
18 will be going to serve someone else, effectively
19 netting the Company's demand -- or the Company's
20 load?

21 A. That's right. If you look at the Company
22 from a billing standpoint, right, say the total
23 load-serving entity that is Kentucky Power, right,
24 its entire distribution load is lower at that point
25 when the excess energy is pushed onto the grid.

1 Q. And I understand it that way too, because I
2 look at it as a behind the meter -- as if you get
3 one bill, and you have one meter from PJM, right?

4 Let me ask you about it. For some reason,
5 when you were talking about individual customers who
6 just so happened to be generating customers, right,
7 somebody who may have been a net meterer or may be a
8 new NMS customer or have some sort of
9 behind-the-meter generation, you were discussing
10 earlier that that person's load is effectively the
11 exact same as a residential -- as another
12 homogeneous customer, right?

13 A. Yeah, what I was saying is their load shape
14 is generally the same across -- you know, a
15 residential customer is a residential customer is a
16 residential customer.

17 So if you look at the underlying load, the
18 shapes are exactly the same across populations, the
19 difference being -- the only difference being is
20 when the customer's net-metered generation injects
21 generation there and nets in the meter to reduce
22 that load shape.

23 You can lay them over top of each other, and
24 the only difference is, you know, let's say you had
25 two meters on it, and you take -- you take the solar

1 generation meter off. The other one lays right over
2 top of the class average load shape. It's exactly
3 the same. So when you add it back, there's that dip
4 in the middle.

5 If you look at those graphs in my rebuttal
6 testimony towards the end, you can see that. So,
7 yeah, the net load, when it's generating, is
8 different, but the underlying load shape is the
9 same.

10 Q. Yeah, but why do you care about the
11 underlying load shape?

12 A. For the basis of charging that customer a
13 retail rate. If their load is the same but for this
14 other thing, if I compensate you, the Company
15 provides the compensation rate or avoided cost rate
16 that accounts for all the value of that difference,
17 then the retail rate should be the same across the
18 customer class.

19 Q. Right. But we're talking about two different
20 things here, right? We're talking about producing
21 your electricity behind the meter to the extent you
22 have demand, which is one side, and then we have
23 production in excess demand on the other side,
24 right? Those are distinct -- those are distinct
25 issues, correct?

1 A. The whole thing shows up as a load reduction
2 either way, whether it's you reducing your load or
3 reducing the Company's overall distribution load.

4 Q. Yeah. And I tend to agree that the overall
5 effect is the same, but my question is, if -- most
6 of these customers don't have two meters, right?
7 They just have one meter.

8 So let's just say hypothetically somebody put
9 a system on their home, right, a solar system on
10 their home and never put energy back onto the
11 system, right? They only reduce -- they only
12 produce electricity up to their own demand in any
13 given hour or any given one-minute increment, right?
14 You all, as a company on your meter, wouldn't see a
15 load profile materially different than the class
16 average, right?

17 A. The underlying load profile would not be
18 different but for the generation. So the point of
19 that whole discussion is whether the appropriate
20 rate for charging the net load from NMS II
21 customers, whether that residential rate is
22 appropriate or not.

23 And my testimony is because they are the same
24 load at the same basis for whatever net billing
25 kilowatt hours they have in a month under an NMS II,

1 the residential rate is appropriate.

2 So then under your scenario where they never
3 -- they never produce anything in excess, they are
4 still netting that load, and they're avoiding that
5 full retail rate in that netting period.

6 Q. They certainly are, but what I'm asking is,
7 insofar as they are avoiding being the average class
8 producer, right, or the average class customer, if
9 you continue to treat all those people identically,
10 they're all going to be on that low end of the class
11 average, right? They're all going to have a lower
12 demand than the class average.

13 A. Here's the thing, though. If you look at the
14 net metering and NMS II, you have to look at in two
15 pieces. Do you have the correct rate for charging
16 billable kilowatt hours, which my position is we
17 absolutely do because the underlying load is the
18 same. Then you have to look at what is the value,
19 the financial dollar denominated value of the
20 avoided cost from that customer producing energy
21 from its system.

22 And, like I said, it's between 3 and 4 cents a
23 kilowatt hour for all of that energy, whether it's
24 netting behind the meter or they're pushing it out
25 on the grid.

1 So they're getting far more than that avoided
2 cost of energy is worth when they're netting behind
3 their meter, and then if they're getting compensated
4 for the extra when it goes over, you know, their
5 load in that billing period.

6 Q. But let me ask it this way: In what other
7 tariffs does the Company look at what the customer's
8 ultimate usage is versus what their demanded load is
9 from the Company in determining what homogeneous
10 group they should be placed in for cost-of-service
11 purposes?

12 A. Before I answer that, one more point on your
13 last question. The issue is, as I showed in my
14 rebuttal testimony, the load reduction from the net
15 metering generation is worth less than the loss of
16 billing kilowatt hours -- they don't offset one
17 another. So it actually adds costs from a marginal
18 standpoint.

19 The reduction in fixed cost recovery from the
20 lost billing units is greater than the avoided cost
21 of that customer netting its energy supply behind
22 the meter.

23 And then to answer this -- this question you
24 just asked, every general service rate we have for
25 this TOD (indiscernible), all of those rates are

1 included in one overall class load shape -- I mean,
2 load research study when we do that.

3 So you look at very broad groups of
4 homogeneous customers for doing these statistical
5 analyses, and then you use that to allocate total
6 revenue requirements for the larger major classes,
7 and then you divide up how you recover that total
8 class revenue requirement in actual rate design,
9 right?

10 So I didn't run a separate load research study
11 for just general service athletic fields or for GS
12 time of day. You do it for GS, and then you piece
13 out the various parts of it when you're designing
14 rates. So it's very consistent with how we design
15 rates and always have.

16 Q. And I appreciate the insight into the
17 cost-of-service calculations, but I have a very
18 specific question. What other -- in doing cost of
19 service in Kentucky or any other AEP affiliate, when
20 does the Company look at what the actual usage is
21 versus what the demand and load from the Company is?

22 A. Say again.

23 Q. You keep saying that the load is the same for
24 a generator, that, heck, even if they don't push any
25 energy back onto the grid, that they just generate

1 enough to meet their demand in certain hours, right,
2 that that person -- that that person is homogeneous
3 to all the residential customers because their load
4 is exactly the same.

5 But you would agree that, as it relates to the
6 meter in which the Company serves that customer,
7 that is not the same, because you said earlier but
8 for that netting they'd be the same, but for that
9 netting. You know, but for a lot of things
10 everything would be the same.

11 So I'm asking specifically to -- yes, I get
12 that that customer may be using identically to what
13 another residential customer uses as an in-use,
14 right, the total number of kilowatt hours may be
15 used between two identical customers, but if one of
16 them is generating behind the meter, never
17 exporting, but generating behind the meter to meet
18 their own demand at certain times, as it relates to
19 the Company, in what other venue in cost of service
20 and in AEP's territory here in Kentucky or other
21 states does it look at the end usage of the customer
22 in totality or terms of demand instead of the load
23 or demand at the meter?

24 A. Sorry, Your Honor. Your question is really
25 confusing me because the end-use energy -- the

1 billing energy is the same as what the other thing
2 you're describing, that the usage at the meter
3 there.

4 Again, what I'm trying to differentiate here
5 is there are two pieces to NMS II, right? You're
6 trying to determine what is -- what is the
7 appropriate rate to charge any billable kilowatt
8 hours, and my testimony about the load shape is,
9 look, that customer is the same. Take the solar
10 system off their house, they're a residential
11 customer like everybody else.

12 So the residential rate for any billing
13 kilowatt hours is appropriate. Now you add that --
14 you add that solar system back on there, and again,
15 you're absolutely correct, you're netting there at
16 the meter instantaneously, and as long as you're
17 valuing -- from a billing standpoint you're valuing
18 that generation correctly, you get to the right spot
19 without having to divide them out into some other
20 (indiscernible) that is relevant.

21 They're getting the full retail rate when they
22 actually net in the netting period, and then they
23 are -- which, again, I think is generous, right?
24 There's distribution, transmission, and other fixed
25 costs in there that they use every day, and then you

1 have the avoided cost rate for the excess
2 generation.

3 You really have to look at it in two pieces,
4 and that's my answer there. The load shape
5 discussion is purely for what is the appropriate
6 rate to charge billable kilowatt hours.

7 Q. Let me ask if this is fair, then. They are a
8 residential customer because it's a home regardless
9 of their usage pattern. Is that your testimony?

10 A. Absolutely, they're homogeneous to the rest
11 of the customers. Just like an industrial customer
12 that has some small cogen behind the meter, it's
13 homogeneous to other industrial customers, and they
14 get billed the same as everybody else.

15 Q. Okay. So, like I said, I'm really trying to
16 mark things off here.

17 Let me ask a follow-up on accounts receivable.
18 I think on your page 6 of your rebuttal, you say
19 that if rate basis is used to calculate a revenue
20 requirement, then the accounts receivable financing
21 should be removed from the capital structure and the
22 resulting weighted average cost of capital
23 calculation.

24 Could you tell me why?

25 A. It's kind of a two-parter there. If you do

1 decide to go to rate base, which it's fine, again,
2 as long as you include all of the properly financed
3 electric utility service amounts.

4 So if you do make that jump to rate base, and
5 then my testimony is if you impute a lead lag study
6 on the Company where you're essentially reducing
7 rate base for AR financing, you know, in a cash rate
8 capital-type calculation, that you then take in
9 credit for that, those funds. That amount you
10 reduced the Company's rate base for it, you can't
11 then also reduce the cost of money as including it
12 as some form of capitalization.

13 So it's like ADFIT. Some jurisdictions across
14 the U.S. will include it as a rate base credit, some
15 will include it in the overall cost of capital as,
16 you know, cost-free capital. You can only recognize
17 the benefit in one place. Same concept.

18 Q. Okay. I'll save the confidential stuff for
19 last.

20 Let's just real quickly -- do you mind to go
21 to your direct testimony, Mr. Vaughan? And I'm
22 going to ask you to give me the Cliff notes part if
23 you can because, I'll just be honest, I read the
24 direct on the net-metering proposal, and I'm not
25 exactly clear. So I have a couple clarifying

1 questions. So let me know when you're on page 24.

2 A. I'm there.

3 Q. Okay. So you're proposing two time-of-use
4 periods, right? 8:00 a.m. to 6:00 p.m. and then
5 6:00 p.m. to 8:00 a.m., right?

6 A. Yes, Your Honor.

7 Q. Okay. And there are these two terms that you
8 use, net negative energy and net positive billing
9 energy and demand.

10 A. Yes.

11 Q. Okay. So net negative energy is when the
12 customer produces more than their demand and
13 exports, right?

14 A. Yes, in the total accumulated over the month
15 and the total netting period. So, yeah, you can --
16 the net negative energy can be discussed in the same
17 way as we said, like excess generation or exports,
18 but again, it's that the accumulation of those
19 figures within each netting period across the whole
20 billing cycle.

21 So if the customer had net exports or net
22 negative energy, some throughout the billing period,
23 they would then be compensated for that accumulated
24 net negative energy at the avoided cost rate.

25 Q. Okay. So first question I have is, under

1 your proposal, if a customer has a net-metering
2 system and produces only enough energy to offset
3 their demand in any given hour, right? Let's just
4 make up something.

5 Let's just say that your net-metering tariff
6 is fuel -- I know that's not the right term -- but
7 fuel neutral. It's not just solar. Right? Could
8 be anything. And the customer produces enough
9 electricity in every hour of the day to meet its own
10 demand, right, and never exports any energy. Would
11 the customer's bill at the end of the month be the
12 customer charge?

13 A. Yes. If the customer was able to offset all
14 of its hourly generation within those netting
15 periods, either netting period, the one at night,
16 with self-generation so that there are no billable
17 kilowatt hours, it would be the basic service
18 charge.

19 Q. Because it effectively took no kilowatt hours
20 from the Company. That's a fair way to think about
21 it, right?

22 A. If it produced zero billing kilowatt hours,
23 you're correct. And they will avoid paying for any
24 of the infrastructure in that scenario.

25 Q. So what you're proposing is -- let me go to

1 the next thing. Page 25, I see that you tried to do
2 some average calculation here with 1240, right?

3 And you just said that (Reading) The Company
4 would expect a typical residential customer having a
5 typical solar net-metering installation to have
6 approximately 639 kilowatt hours of billing energy
7 and produce 783 kilowatt hours of excess generation
8 in a billing period.

9 Do you see that?

10 A. Yes, Your Honor.

11 Q. Okay. Is 783 the NNE in that period?

12 A. The answer is I revised all these numbers for
13 rebuttal because of my initial, I guess, 4-82 where
14 we had the -- some commercial systems initially
15 included in the residential total because they had
16 residential customers' names on the application
17 rather than the commercial account, but essentially,
18 yes.

19 If you're -- the difference between what is
20 netted in the netting period of the customer's 1,240
21 average kilowatt hours and what is produced by the
22 system is that net negative energy where the
23 average -- (indiscernible)

24 Q. What is the 639?

25 A. So that's -- so right. When the solar system

1 stops producing energy late in the afternoon, and
2 subsequently when the sun goes down, and customers
3 are using the Company's system, you're accumulating
4 billable kilowatt hours in that second netting
5 period.

6 So that 639 is what the portion of net load in
7 that second billing netting period under NMS II. So
8 it's the accumulation of billing kilowatt hours. So
9 in this example the customer is going to on its bill
10 pay for 639 kilowatt hours basic service charge, and
11 then it's going to receive a credit at the avoided
12 cost rate for all of the -- that negative energy.

13 Q. Yeah. And that's what I want to make sure.
14 I think this will help me understand it better.
15 Under the old net metering, we'll call it, right,
16 where it's a credit between the two, it would --
17 this customer in this billing period -- this average
18 customer, whatever -- would have effectively carried
19 forward a credit of -- do this on the fly -- 144
20 kilowatt hours onto the next month, right?

21 A. Yes. So they would have wiped out all their
22 billable kilowatt hours even though they used them,
23 but there would still be more left over.

24 And just to clarify something, I think
25 Mr. Fitzgerald and I were talking past each other.

1 So if the customer -- like in this example, if the
2 calculation resulted in a net bill credit in a
3 month, so they produce enough energy that it netted
4 their rate billings including the service charge to
5 a negative amount, went to zero, and there's \$10
6 left over of credit, that \$10 rolls to the next
7 month for use in that month.

8 So what I was trying to say is that you're
9 figuring it out each month, the rate credit and the
10 rate billings, but if there is a net negative, it
11 does roll over per the applicable law.

12 Q. Okay. That is -- that is very helpful
13 because I think I've read that 25 times. So -- so
14 let me just ask as the second question to follow up
15 with that is: How did the Company -- how did you
16 come up with the -- in your proposed kilowatt hour
17 compensation rate, you weighted for on- and off-peak
18 LMP, but that amount applies to both on- and
19 off-peak periods, right?

20 I say on- and off-peak periods. You know what
21 I mean, right? The 8:00 to 6:00 and then again from
22 the 6:00 to 8:00. That same kilowatt hour amount
23 applies to both periods; is that right?

24 A. So it's highly unlikely you're going to see
25 any net negative energy in that second billing

1 period because the solar generation curve has fallen
2 off, right? Customers are picking up their normal
3 household activities in the evenings. Solar
4 generation really starts to fall off there in the
5 middle, late afternoon and into the evening. So
6 just based on the generation shape, you're going to
7 have those -- those credits.

8 And again, that's why we designed the netting
9 periods the way we did, right? So you have the
10 majority of the solar within the netting period
11 that's actually producing energy, and, as such,
12 we've weighted that compensation rate, the avoided
13 cost rate, to track with that.

14 Q. Yeah. But aren't you discounting it, then,
15 since the majority -- if the Company expects the
16 entirety, effectively, right, the almost entirety of
17 the net generation to be produced between 8:00 and
18 6:00, and then it discounts it to provide -- I think
19 it was -- 2/7 of the energy, assuming that is not
20 actually the LMP at the time different than that
21 amount, then how do you take into account that the
22 majority or if not all of the energy being provided
23 is on peak energy to the Company?

24 A. The 2/7 are weekends, Your Honor. They are
25 not on peak.

1 Q. Okay. So --

2 A. (Indiscernible).

3 Q. (Indiscernible). And, literally, you're just
4 saying it's reflective of the weekend then?

5 A. Yeah. Right? The 5/7 is your weekday
6 on-peak hours in total. So you're taking into
7 account, yeah, the sun is still shining on what we
8 would consider an on-peak hour, but from an energy
9 market standpoint, the weekend draw peak and the
10 prices track with off-peak, you know,
11 during-the-week prices.

12 Q. So explain what data set you used as
13 described as "on peak"?

14 A. I looked at the actual hourly LMPs from the
15 test year, and so -- I'd have to go back and
16 calculate it, but your weekday on-peak hours that
17 would match up with what the hours of sunshine and
18 producing.

19 Q. So did you do weekday 8:00 to 6:00 average
20 LMP 50-minute increments 8:00 to 6:00 p.m. for a
21 certain time?

22 A. It sounds about right. You're trying to get
23 to a number of hours in the year, which I think is
24 what the calculation did, because then we used
25 forward pricing based on the -- for the LMPs for our

1 avoided cost rate to try and track when the rates
2 would be in rate, and those were very close to what
3 we've been experiencing on a historical basis.

4 So, yeah, the 2/7 is accounting for weekends,
5 right? I totally agree the sun is not shining or
6 producing energy in the evening and night off-peak
7 hours.

8 Q. Okay. And then, as it relates to capacity,
9 how did you calculate on a production basis?
10 Because I don't want to get into, not yet,
11 distribution transmission capacity consideration,
12 but on a production basis how did you calculate an
13 avoided capacity rate?

14 A. So what we did there is we took the solar
15 shape, and we -- you know, month to month, you lay
16 it over when the PJM 5-CP generally occur, right,
17 because it's a load reducer; it's not a resource out
18 there facing the market.

19 So you look at how does the solar load shape
20 reduce the 5-C -- how does it affect -- the 5-CP
21 hours in PJM? So you come up with, if you have a
22 1-megawatt resource, you weight it towards the 5-CP
23 contribution. All right? Well, it's actually
24 500-kw resource based on when those hours occurred.

25 You do that for a number of years, as I did,

1 and that shows up in AEV Exhibit 3 of my direct
2 testimony and my work papers. Has to do with that,
3 call it the 500-kW.

4 You have to get the peak reduction value of it
5 first, and then you apply it to what you think your
6 potential avoided cost is, and in this case it would
7 be -- if we lower the 5-CP, the Company will
8 potentially make an additional sale of length in the
9 RPM market so we avoided -- we priced it at that
10 (indiscernible) tariff.

11 Q. I'm getting some sort of feedback.

12 So let me ask, why is that the appropriate
13 capacity value when the Company's embedded megawatt
14 production value is significantly more?

15 A. Because you're not avoiding those. You're
16 looking at it from an incremental or decremental
17 standpoint. There's no avoiding what we already
18 have. There's avoiding something in the future, or
19 there's adding in more revenues from an increase in
20 market sales.

21 Q. Yeah. So on that, the Company is going to be
22 capacity-deficient in two years; is that right?

23 A. Yes. It's my understanding we are
24 capacity-deficient of part of '22-'23 when the
25 Rockport EPA goes away.

1 Q. So I guess I'll just say -- I'll make a
2 comment and see if you can respond with an answer.
3 I don't understand how using -- use the BRA clearing
4 prices from a previous delivery year or for the next
5 delivery year, is that the capacity rate you used?

6 A. I used \$100 a megawatt day because the
7 previous delivery year was 70, and the one above it
8 was -- the next one was like 140, and the current
9 was 100. So it's actually right in the middle and
10 seemed very reasonable for the pricing points that
11 we have currently.

12 And so just to, you know, kind of touch on
13 what you just addressed there, when the Company does
14 go short in '22-'23, it will purchase length through
15 the Company's FRR plan from its affiliates at the
16 avoided cost of -- or at what the companies would
17 have made sales at in the RPM had been, had they not
18 had to cover that length at Kentucky Power. So it
19 will be the BRA price then as well.

20 But whatever that is, whenever the option
21 clears next year sometime now. And, you know, then
22 after that, you know, the Company has an IRP case
23 pending and I assume will make some sort of proposal
24 for how we fix that capacity short in a more
25 long-term or medium-term basis than just purchasing

1 its needs from the other companies in the plan.

2 So --

3 Q. And that would be an embedded cost, right?

4 A. No, no. You mean -- you mean how will we
5 decide to -- however we decide and the Commission
6 approves that we -- that we --

7 Q. The future capacity deficit.

8 A. The future capacity deficit, right. And that
9 is more like what you're looking at in cogen/SPP,
10 right? And, again, you're not avoiding that through
11 adding a DG system. You know, like 500 kW is not
12 avoiding 140-megawatt purchase, right? You're
13 avoiding some piece of that.

14 If you're looking at a true -- it's a more
15 long-term calculation like that, it would be what we
16 have in cogen/SPP for like a PURPA rate where it's
17 like, again, my hypothetical CP or some sort of
18 dispatchable resource.

19 Q. So do you-all -- when you-all are doing DSM
20 programs, do you-all ignore incremental
21 1.5-megawatt, you know, capacity reductions as -- at
22 a -- some sort of reduced value because it's only
23 incremental instead of -- you know, instead avoiding
24 entire purchases or capacity additions?

25 A. I do. You can see that in the DRS --

1 proposed DRS rate schedule here when we're trying to
2 peak shape customers. We look at, right, what are
3 our circumstances right now? Capacity is
4 sufficient. If I can shave a megawatt of load
5 through DRS, my incremental revenue from that is
6 making the Company a little bit longer and making
7 another sale into the market and avoiding some other
8 fixed cost of transmission, which I've also included
9 in both DRS and in the avoided cost rate in NMS II.

10 You can use a variety of price signals when
11 you're doing economic analysis on a DSM measure or
12 EE program. It's kind of whatever -- you know,
13 whatever you're looking at, but no, you're not --
14 again, I totally agree you're not going to avoid
15 some sort of 400- or 100-megawatt increment of
16 capacity with EE measure in full or, you know,
17 rooftop solar. And, again, neither are
18 dispatchable.

19 You have to take all those things into account
20 when you're looking at how you're pricing something
21 on the margin.

22 Q. I guess what I would ask is, based on your
23 load duration -- I guess that's what you looked at
24 -- based on your load duration study on PP, right,
25 or distributed generation, I would assume that you

1 would ascribe some sort of in excess of 50 percent
2 capacity value to it because it's coincident with
3 PJM's 5-CP, which drives the FRR plan, right?

4 A. Yes, exactly. We looked at how it affects
5 5-CP hours over -- I think I did three years, and
6 then get a three-year average of what the average
7 load reduction would be, and you catch that
8 variability in the hours of 15 through 18 that
9 generally happen in PJM for the 5-CP summer peaks,
10 and then 12-CP load reduction for, you know,
11 reducing load-based transmission costs.

12 Q. And then based on that coincident value, you
13 ascribed the capacity value of 100 megawatts or \$100
14 a megawatt a day. Excuse me.

15 A. Yeah. The generation portion was that, and
16 then the transmission portion was the, you know,
17 cost of transmission in the zone.

18 Q. Okay. I have one more question with that
19 section if you'll bear with me.

20 Are you aware of the minimum size study used
21 in cost-of-service studies for a distribution plant?

22 A. Minimum system?

23 Q. Minimum system. Excuse me.

24 A. I am aware of that. I provided a version of
25 that in Staff discovery.

1 Q. Can you just very quickly, what's the basis
2 of the minimum system study?

3 A. The minimum is kind of a misnomer. I
4 generally look at it as a typical, right, because
5 you don't -- and again, I'll split hairs here
6 because you don't -- you don't take the system down
7 to the very smallest you can use for a customer, you
8 take it down to the lowest economically common
9 infrastructure you put in, you know, where -- where
10 the 825 -- again, totally making up numbers here.
11 Mr. Phillips will now back me up that you can do any
12 of these things.

13 But you can put a 20-foot pole and a 2-kV
14 transformer on customer A's house, but through
15 purchasing and just normal operations, we know that
16 a 35-foot pole and a 7-kV transformer is the least
17 cost for everybody to generally serve needs.

18 A true minimum system study would just look at
19 what would happen if you designed the system based
20 on (indiscernible) what your smallest possible is.

21 And what I did is that typical, so what is our
22 smallest typical installation that we use for the
23 various pieces of distribution equipment to serve
24 customers in general, and the theory behind the
25 whole study is that everything up to the typical

1 level of equipment is completely fixed in nature and
2 does not vary by anything other than the number of
3 customers on your system, which makes sense when
4 you're looking at, like, radial distribution
5 service, right?

6 If there weren't customers out there two miles
7 down this road, you wouldn't have run conductor and
8 poles and transformers there to serve them. And
9 then everything above -- size above that typical
10 installation is demand-based because, in theory,
11 there was a -- you know, if 7 kV is your typical
12 installation on this circuit, but you have 10 kV or
13 20 kV on this other circuit, you did that because
14 the demand on it required that.

15 So you're separating out the overall fixed
16 costs into what is fixed by number of customers and
17 what is varying by the demand on the system, the --
18 you know, kW demand.

19 Q. KW or kV. So --

20 A. Yeah.

21 Q. So let me ask -- and this is the -- something
22 I don't know if anybody ever addressed directly as
23 it relates to that.

24 We have in this case these marginal -- these
25 marginal conversations, right, marginal costs in

1 conversations, and then embedded costs in
2 conversations. And they're kind of fun for the
3 three of us. They're intermingled together, right?
4 So we've got to sort of -- where does it make most
5 sense to do either, if either.

6 So when it comes to this discussion -- and I
7 just want your perspective on it. When it comes to
8 this discussion on avoided distribution cost, right,
9 when the Company makes decisions -- rightfully --
10 right, wrong, doesn't matter -- I'm just saying
11 makes the decisions, to your point, to have this --
12 I know you don't like the minimum system, but the
13 minimum practical system, whatever it may be, does
14 that -- but we're never going to go get a 2-kV
15 transformer, we're just going to buy 5 kV because we
16 got a
17 15 percent discount on both, right, or whatever it
18 might be -- that -- would you agree that that
19 creates again some sort of inherent -- that insofar
20 as the Company is making a conscious decision to do
21 something this way, right, and it may be good
22 utility practice, whatever it may be, but because of
23 those other decisions, that negates the ability,
24 I'll even say, to determine avoided distribution
25 cost when we're talking about things like

1 distributed generation.

2 Because the Company's always going to have a
3 kV -- insofar as it's not higher, right, but lower
4 -- that the smallest transformer the Company is
5 going to put on a line is a 5-kV transformer because
6 that's the smallest they carry, right, even if a
7 distributed generation system reduces demand.

8 Does that create an inherent sort of
9 complication with calculating those figures?

10 A. No, especially when you're looking at a
11 winter-peaking utility like Kentucky Power. We
12 would show it in the test year data, and all my
13 analyses, that net-metering customers are
14 contributing just like everyone else to the full
15 distribution peak when it happens at 6:00 a.m.
16 There's no sun up. It's dark and it's February, so
17 their load is just in that -- that highest
18 distribution hour like everyone else's, so no.

19 I mean, even if they do reduce every other
20 month peak theoretically on the distribution system,
21 you still have to size it to handle their peak load,
22 which happens before the sun is up.

23 Q. Yeah, and I'm not asking specific to your
24 proposal in this case. I'm just saying the
25 distinction between the marginal costing and the

1 embedded cost-of-service studies, or even the
2 practical effect of utility planning, does one --
3 let me ask you this way: Do costing studies drive
4 expenses, or do the practical expenses and running
5 of the utility drive cost-of-service studies?

6 A. Again?

7 Q. Would you agree that the cost-of-service
8 study is just an attempt to put on paper, right, the
9 interaction of the things that have already been
10 done in the field or anticipated to be done in the
11 utilities practice, right?

12 A. That's right. Mr. Phillips does not consult
13 me to come up with rates before he -- he provides
14 safe, reliable utility service. I am the back
15 office nerd that then takes care of whatever needs
16 to be done from a cost of service and rate design
17 perspective.

18 Q. And with a marginal cost study, for instance,
19 it's just putting on paper reflecting what the
20 actual practice is going to be -- or what the
21 practice has already been, right?

22 A. It depends, right? And when we look at the
23 marginal cost-of-service analysis I did, especially
24 with the basic service charge, I'm not proposing
25 that we use that. I'm using that as an informative

1 guide to what you could potentially move that charge
2 up to before you have to start considering larger
3 items, you know, other issues within distribution
4 and other cost of service as to whether you're going
5 too high on that basic service charge or not.

6 But then if you're looking at something on a
7 marginal basis like EDR load, whether that meets all
8 the statutory rules, whether the Company should do a
9 peak shaving program like the DRS, or whether you're
10 compensating marginal injections into the
11 distribution grid from a customer generator, those
12 are all very valid uses of a marginal
13 cost-of-service study and that they should be used.
14 So the answer is (indiscernible).

15 Q. Yeah, I've found that here, doing this, it's
16 always -- the utility world -- there's a lot of
17 nuance, and it very much depends. And I can
18 appreciate that.

19 A. All gray, yes.

20 Q. On the EV proposal, real quick, you stated on
21 your direct in '19 that (Reading) The Company does
22 not propose an extra basic service charge for
23 customers that subscribe to the EV charging
24 provision because the cost of the separate second
25 meter for the customer is being offset by the

1 additional fixed-cost contributions from the on-peak
2 and off-peak energy charges.

3 So it's a big record. I may have missed it.
4 Where do you provide the cost-of-service support to
5 indicate that's the case, that the savings from the
6 use -- from the demand in energy offset the
7 fixed-cost savings that the other customers would
8 get from that person paying a meter charge?

9 A. It is in one of the many Staff discovery
10 responses. We can provide that exact one, but I
11 don't have it offhand.

12 But that's the theory. You're looking at it
13 just like I did in Exhibit 9, that EDR load. You
14 know, if you add this load, are you overcoming the
15 marginal costs of adding it and producing positive
16 fixed-cost contributions. So yes, it's somewhere in
17 Staff discovery, and we'll provide that.

18 Q. Let me ask this question: Is there a
19 disconnect -- that's the only word I know how to
20 come up with. Is there a disconnect between the
21 savings that you may -- would you agree that the
22 savings from that are going to be demand-related for
23 cost-of-service purposes?

24 A. (Indiscernible).

25 Q. What's that?

1 A. I'm sorry. What savings are you referring
2 to?

3 Q. Well, so you said that the fixed-cost
4 contributions -- let me get this right.

5 So (Reading) The Company does not propose an
6 extra basic charge for customers who subscribe to
7 the EV charging provision because the cost of the
8 separate second meter for the customer is being
9 offset by the additional fixed-cost contributions
10 from on-peak and off-peak energy charges.

11 So what I'm asking is would you agree there's
12 a disconnect between the cost of the meter -- which
13 I assume you're, in the cost-of-service study,
14 saying is customer-related costs -- and the
15 fixed-cost savings for the on-peak/off-peak energy
16 usage is production and demand, or demand-related?

17 A. So it's not really a cost reduction, right?
18 You got to look at it as we are trying to have
19 this -- think of it as you're incenting this
20 customer to charge in the off peak, you know, and so
21 you're adding off-peak billing kilowatt hours, and
22 you're giving them this separate meter time-of-use
23 rate so they don't have to put their entire life on
24 time-of-use rate at their billing address.

25 So what I show in that Staff data request is

1 that their additional fixed-cost contribution from
2 that rate, so everything above fuel, is enough to
3 offset that customer's cost of the meter, the
4 separate meter. Again, because that is
5 customer-related, I totally agree. And then you
6 provide incremental fixed-cost contributions.

7 So it's more of a -- I look at it more as
8 there's -- the incremental revenues from adding that
9 load is greater than the incremental cost of serving
10 it.

11 Q. Yeah, but the revenues being allocated are
12 being allocated in a cost-of-service study to
13 production and transmission and distribution-related
14 costs that are probably being allocated that are on
15 a demand basis, right?

16 A. That would all stay within the class. So
17 it's residential class revenue. That would stay in
18 the class -- or general service, EV charging,
19 general service class. You're not allocating
20 revenue. The revenues stay within the class.

21 Q. But you're driving -- you're increasing
22 customer-related costs for the entire class, right,
23 because you're adding in additional --

24 A. To a lesser extent than you are adding
25 revenue, yes.

1 Q. Okay. The other question about DRS, I just
2 want to make sure that I understand what DRS is.
3 Effectively, it's going to be the Company's own peak
4 shaving program so as to reduce its demand -- its
5 bill from PJM effectively, right?

6 That single meter, you're just attempting to
7 do it behind the meter, reduce your own demand
8 behind the meter so that your FRR plan is
9 continually lower and lower effectively, right?
10 That your demand for purposes of PJM's 5-CP is
11 lower?

12 A. Yes, Your Honor. And kind of the impetus
13 behind this is we have -- we've been doing this in
14 special contracts in other jurisdictions, and,
15 hopefully, we proposed it in Virginia -- I proposed
16 it in Virginia. And, hopefully, it's approved here
17 very shortly, but the thought here is, when we talk
18 with industrial customers, they -- you know,
19 shockingly, customers are weary of PJM rule changes
20 in the demand-response market, right? They don't
21 like being exposed to capacity performance, which
22 became the only product for demand response starting
23 last June.

24 It basically says, hey, if the system -- we
25 get, you know, the scarcity on the system, we can

1 call your demand-side resources whenever we want,
2 and if you don't respond, I'm going to hit you with
3 a penalty up to \$3,500 a megawatt hour, so that made
4 a lot of people shaky, and we have some very large
5 industrial loads in some other companies that were
6 also very interruptible.

7 So we started doing this concept to address
8 those. You have a customer that still provides the
9 demand-response service, but we're taking them out
10 of the market. We are exactly what you said, we're
11 putting them behind our meter and taking them from
12 the supply side of the equation, which always seems
13 weird with demand resources, and putting them on the
14 demand side, right?

15 But the difference is, though, that customer
16 is going to have to interrupt when we call them when
17 we think the 5-CPs and the 12-CPs are occurring so
18 we can actually reduce load versus they may have sat
19 there as a resource on a PJM program for years and
20 never had to interrupt other than annual testing.

21 So it's a trade-off, right? The customer is
22 avoiding risk of the RPM market or the capacity
23 performance charges, but they are going to probably
24 have to interrupt more under our peak shaving
25 program than they would under a PJM program.

1 Q. Okay.

2 VICE CHAIRMAN CHANDLER: And, Chairman, I
3 have, I think, two more short questions and then two
4 -- a little longer ones. So after the short ones,
5 would you like to take a break?

6 CHAIRMAN SCHMITT: You want to take a break
7 now?

8 VICE CHAIRMAN CHANDLER: Let me ask these two
9 short questions. If that's okay.

10 CHAIRMAN SCHMITT: Sure. Sure. Go ahead.

11 Q. There are two of them. The first is I seem
12 to be confused. Mr. Blankenship? Blankenbaker?
13 It's been a long week.

14 A. Blankenship.

15 Q. Blankenship, thank you, spoke and said that
16 the meters -- the AMR meters, talking about the ones
17 currently, were obsolete, I think is the word that
18 keeps getting thrown out. But I heard something in
19 your testimony I want to clarify. Are they fully
20 depreciated?

21 A. To my knowledge, no, they are not, because I
22 don't think we've updated depreciation rates in
23 several rate cases.

24 Q. Okay. So if the Staff asks for a posthearing
25 data request on the -- where the depreciation is on

1 those current meters, you can provide that? Maybe
2 not you, the Company.

3 A. I think it's already in the record, but we
4 can definitely point you to that. I think the net
5 book value figure is in the record.

6 Q. Okay. I appreciate that.

7 The other very short question -- and I'm
8 reading this from somebody else, so bear with me.
9 Do you have your response to Staff DR 6-7 regarding
10 the financing of those -- I believe those coal --
11 Mitchell coal purchases?

12 A. I do.

13 Q. Okay. In the test year does the Company
14 finance the purchases through short-term debt?

15 A. Sorry. Bear with me. I'm rereading this.
16 I'm sorry. Can you repeat your question now?

17 Q. Yeah. During the test year, did Kentucky
18 Power finance the coal purchases through short-term
19 debt -- with short-term debt?

20 A. 6-7 says that the Company uses its working
21 capacity resources to pay for expenses from its
22 operations as they are incurred. All capitalized
23 items, including the Mitchell coal inventory, are
24 financed based upon the Company's overall capital
25 structure.

1 And then it goes on to explain why I
2 adjusted -- or why we adjusted this Mitchell coal
3 short-term debt to zero because of the Mitchell coal
4 stock adjustment.

5 Q. So if there's a specific allocation -- there
6 may or may not be -- but if there's a specific
7 allocation to the way the Company finances that,
8 you-all could provide that in a posthearing data
9 request?

10 A. Can you ask that again? If there's a
11 specific way we finance the coal stock?

12 Q. Yeah, that those costs are allocated when
13 financing during a particular year or during the
14 test year?

15 A. Allocated to one specific source of capital
16 versus another? Is that what you're trying to
17 distinguish?

18 Q. Yes.

19 A. Yeah, I (indiscernible), but I think we can.

20 Q. Your answer -- yeah, your answer, you would
21 indicate that it's just part of overall financing,
22 so we do everything at the WACC.

23 A. That's right. And the reason -- again,
24 there's some history behind this adjustment in the
25 way we've mechanically adjusted the cap structure

1 and the WACC through our filing schedules in Section
2 5 over time.

3 Two rate cases ago in 2014, where -- because
4 we remove a lot of things from capitalization for
5 base rates because they're earning a return
6 elsewhere or they're nonutility or whatever, we
7 reduced -- you know, we proportionately reduced all
8 the components of capitalization.

9 And what happened is we actually ran
10 short-term debt zero because it was -- the balance
11 was so low when we removed everything, it went
12 negative. So then, to get back to 100 percent, the
13 function was to create fake equity and long-term
14 debt. No one thought that was the right answer, so
15 we agreed to zero out short-term debt.

16 And we have been doing that since to avoid
17 that issue when you remove things from the capital
18 structure and reduce all of the components,
19 long-term debt, equity, AR financing, everything
20 from a proportional basis. That's the reason behind
21 that -- that tranche there, but yes, Your Honor, we
22 can provide you with posthearing data request
23 stating how we finance that item.

24 VICE CHAIRMAN CHANDLER: A little
25 clarification real quick, Chairman, if you don't

1 mind.

2 Q. You just were talking about -- it just
3 reminded me. I know there's just a portion of it.

4 Insofar as the Company doesn't earn what it
5 expects in terms of its cost of service with the
6 nonjurisdictional portions of its revenues, right,
7 the -- we'll just say the nonjurisdictional portions
8 of its revenue requirement.

9 A. (Indiscernible.)

10 Q. What's that?

11 A. Are you referring to like our small FERC
12 jurisdiction and (indiscernible) reserves?

13 Q. Yeah. (Indiscernible). Insofar as the
14 Company isn't earning its ROE as it relates to
15 those, is that calculated in that, you know, GAAP
16 earnings in a given year, or is that on a
17 jurisdictional basis when the Company is talking
18 about its inability to earn its ROE?

19 A. That's a total company ROE, but those
20 customers are served via a formula rate with a true
21 loss. So we're earning the ROE in a formula rate
22 there.

23 Q. Right. But I guess what I'm asking is,
24 insofar as it's -- you're underearning for that
25 year, it may true up to the next year, but when

1 you're talking about currently a month in sort of
2 numbers, is that taken into account?

3 A. No. It is what it is. So -- but, generally,
4 that is earning the allowed return in the formula.
5 So all other things being equal, it's probably
6 pulling up the total Company ROE very minisculely,
7 right, because it's 1 percent, 1 1/2 percent of the
8 overall Kentucky Power.

9 VICE CHAIRMAN CHANDLER: Okay. Chairman, we
10 can take a break. I appreciate it.

11 CHAIRMAN SCHMITT: All right. We'll now be
12 in recess until ten minutes after 3:00.

13 (Recess from 2:57 p.m. to 3:18 p.m.)

14 CHAIRMAN SCHMITT: Okay. Are we all back on
15 the record?

16 VICE CHAIRMAN CHANDLER: Can you hear us,
17 Chairman?

18 MS. SACRE: I just got a note about a
19 recorder stop. Let me make sure.

20 CHAIRMAN SCHMITT: There's a question about
21 whether our system is properly working.

22 MS. SACRE: (Indiscernible). He'll come in
23 here if it's not.

24 CHAIRMAN SCHMITT: We think we're okay.
25 We're back on the record.

1 Ms. Gundermann, are you with us here this
2 afternoon? Maybe not. Is someone present from the
3 Attorney General's office? Do you think they can
4 hear anything I'm saying?

5 MS. SACRE: That might be the problem.

6 MS. VINSEL: I'll go back and double-check
7 with Jim.

8 CHAIRMAN SCHMITT: Vice Chairman, can you
9 hear me?

10 MS. SACRE: They can't hear us.

11 CHAIRMAN SCHMITT: They can't hear a thing?

12 MS. SACRE: That's what I meant, this message
13 I got.

14 MS. VINSEL: We need to go off the record for
15 a few minutes.

16 CHAIRMAN SCHMITT: Well, I can't say
17 anything, they can't hear me. Let's just go off the
18 record. Maybe they can. They can't hear a word
19 we're saying.

20 (Off-the-record discussion.)

21 CHAIRMAN SCHMITT: Are we back?

22 MS. SACRE: You're on the record, sir.

23 CHAIRMAN SCHMITT: Vice Chairman, can you
24 hear?

25 VICE CHAIRMAN CHANDLER: We can.

1 CHAIRMAN SCHMITT: We've had a technological
2 problem that caused us to -- caused a delay. Before
3 we recommence your cross-examination, however, I
4 would like to ask if Ms. Grundmann is present for
5 Kmart.

6 MS. GRUNDMANN: Yes, Your Honor, I'm present.

7 CHAIRMAN SCHMITT: I know we spoke Friday.
8 You, I thought, maybe had some concerns about your
9 witness, and I was positive that we would get
10 through with the Attorney General's witnesses today,
11 and I wanted to ask if you had a problem -- if your
12 witness had a problem being here tomorrow. And if
13 that was the case, assuming the Attorney General's
14 witnesses and KIUC's (indiscernible), I go ahead and
15 let your witness go first today, believing that
16 there probably will be little, if any,
17 cross-examination.

18 MS. GRUNDMANN: Your Honor, my witness is
19 flexible in terms of going late today, going
20 tomorrow. Her schedule can accommodate whatever you
21 desire.

22 CHAIRMAN SCHMITT: Well, I doubt there's any
23 point in going late today because we've got ten
24 witnesses left, and some of them, I'm sure, won't be
25 as long as others, but I can't see us getting

1 through by 5:00 or 6:00.

2 MS. GRUNDMANN: I tend to agree, Your Honor,
3 but she's fine with going tomorrow, but I appreciate
4 you remembering my scheduling discussion last week.

5 CHAIRMAN SCHMITT: Well, I just wanted to
6 make sure. I hate to see anybody have a witness
7 problem, so anyway, that's okay. Maybe today, maybe
8 tomorrow.

9 Ms. Blend? Ms. Blend?

10 MS. BLEND: Yes, Your Honor.

11 CHAIRMAN SCHMITT: In checking with our
12 people here, it would appear as follows: That none
13 of the Kentucky Power witnesses except Mr. Mattison
14 will be the subject of any additional questioning,
15 and I think one or more of the commissioners would
16 like to speak with Mr. Mattison after the
17 intervenors' witnesses have testified.

18 So if he can be available by video, all of
19 your other witnesses can be excused. And I'm sorry
20 that you had to have them there today, but we just
21 didn't know, and so -- but, anyway, I wanted to let
22 you know now.

23 MS. BLEND: Thank you, Your Honor. We
24 appreciate that. We'll make sure that the witnesses
25 know, and Mr. Mattison will be available tomorrow

1 after cross-examination and questioning of the
2 intervenor witnesses has concluded.

3 CHAIRMAN SCHMITT: All right. Thank you.

4 At this time, Vice Chairman, are you ready to
5 complete your cross-examination?

6 VICE CHAIRMAN CHANDLER: Yes. Thanks,
7 Chairman.

8 Q. Mr. Vaughan, you can hear me okay?

9 A. I can. And before you ask your next
10 question, could I provide you some references from
11 our last conversation?

12 Q. Sure, but before we do that, can I ask you
13 another question?

14 Can you provide additional color in a
15 posthearing data request to your basis and
16 assumptions for KPSC 4-72? I think it's Attachment
17 1, which is, I think, probably one of the things
18 you're going to refer me to, which is the
19 calculation of your EV information; is that right?

20 A. Yes. You one-up referenced me there. I was
21 going to reference you to that.

22 Q. Okay. So KPSC 4-72, all I have is a Excel
23 with a couple of lines that just have one- or
24 two-word descriptions to them, and there's no
25 narrative in the DR response.

1 So, if we asked for the assumptions and the
2 calculations and the assumptions for the
3 calculations, you'd be able to provide more color
4 around your calculation?

5 A. Yes, Your Honor. There was a lot of data
6 requests attached to that, so yeah.

7 Q. Okay. No. Sorry. Go ahead.

8 A. On the net book value of the meters, going to
9 refer you to AG KIUC 1-65. And for -- yeah, 1-65,
10 and then the preliminary depreciation analysis was
11 AG KIUC 1-61.

12 Q. And let me ask that 1-65. I know that Staff
13 had said something to me in the interim about that.
14 Does it have in it what the assumed -- what the --
15 what curve they're using, what depreciable life that
16 the current meters are being depreciated over? Or
17 does it just have the net book value remaining of
18 the meters in that account?

19 A. I think the meter account -- the life being
20 assumed for the meter account is what you'll find in
21 1-61, the number of years used.

22 Q. Okay. And the actual net book value would be
23 in 1-65?

24 A. That's right.

25 Q. Correct? Perfect.

1 A. Yeah.

2 Q. Okay. Can I get Staff to bring up the
3 Company's response to Staff's 7-2? That's the
4 wrong -- the wrong document. There we go. Okay.

5 And have you seen this document before,
6 Mr. Vaughan?

7 A. Yes. I prepared it.

8 Q. Okay. And this is a distribution, or at
9 least a data set, indicating the bills of all the
10 Kentucky Power's residential customers for a certain
11 time period, right? I think it's April of '19 until
12 now. Is that right?

13 A. Yes, Your Honor, being the test year through
14 our last current load billing information from
15 September, yes.

16 Q. So the first question I'm going to ask in the
17 posthearing data request is to run this with
18 consistent X axis. Do you see that? I think that's
19 the right axis. I didn't do very well in high
20 school math, but I think that the distribution at
21 the bottom runs in 100-kilowatt hour increments, and
22 then beginning at 2000 runs in 500-kilowatt hour
23 increments. Do you see that?

24 A. Yes.

25 Q. Okay. And you see how that kind of -- I'll

1 say it this way -- messes up how pretty the bell
2 curve can be or how pretty the figure is?

3 A. Because there's a lot of bills in those ones,
4 but, yeah --

5 Q. Yeah. It effectively makes it look like it's
6 real noisy, but, ultimately, it's that the data set
7 prior to it on that axis is only 100-kilowatt hour
8 increments, and that one is all of a sudden
9 500-kilowatt hour increments?

10 A. Yes. That's a programmatic report, so I will
11 see if we can change those -- those increments. And
12 if we can, we will provide that information.

13 Q. Okay. And even if it's, you know, instead of
14 100-kilowatt hour increments, if it's 125 or 150 to
15 try to make the figure smaller, because, ultimately,
16 you know, it's -- the left-hand side of it is always
17 going to be zero, and then to the right it's going
18 to be whatever the highest number is, but I know the
19 tail is going to always probably go for a while when
20 you get over 500-kilowatt hours. So we're mindful
21 of that.

22 So the average usage is something like, for
23 residential Kentucky Power customers, is 1,239
24 hour -- 1,239-kilowatt hours a month, correct?

25 A. I think rounded up, it was 1,240 on the

1 button for the test year is what we've been using.

2 Q. Okay. All right. And in last case it was
3 something like -- I remember it was around that same
4 area, 1,213 --

5 A. (Indiscernible).

6 Q. Yeah. So the highest number of bills,
7 ignoring, you know, that weird 2,025 amount, the
8 highest number of bills, the highest distribution of
9 100-kilowatt hour increments is -- well, let me see
10 if it will let me zoom here. Bear with me. Is, I
11 believe, 800- to 900-kilowatt hours a month. Do you
12 see that?

13 A. Yeah. It's (indiscernible) that number of
14 bills. It's right there, just shy of a thousand
15 kilowatt hours. That's right.

16 Q. And so the largest number of observation, the
17 100-kilowatt hour bills a month is right there in
18 the 7 to 800, and then the average, though, is
19 1,240.

20 So I guess my question is, is the Company
21 concerned by the vast number of observations
22 significantly in excess of the Company's average
23 residential bill usage?

24 A. Again, this is a product of the Company's
25 service territory in the penetration of electric

1 heat. You get very large usage in cold weather
2 months. Someone -- someone who could be -- you
3 know, I think the -- I can't remember if it's
4 Exhibit J, but the billing analysis, kind of typical
5 billing analysis shows the shape of a residential
6 customer's bill from month to month, and you can
7 have someone that averages 700 kilowatt hours most
8 months, and then uses 2,000, 3,000 kilowatt hours on
9 a cold winter month.

10 And that's how you're getting that, that much
11 higher average kilowatt-hour usage than what you'd
12 see in the average bucket of bills. It's the
13 extreme winter billings.

14 Q. So I've asked you about the EV, right, the
15 tariff EV that you've proposed, the DRS. We've
16 talked about load and DRs behind-the-meter
17 generation. The only thing we haven't talked about
18 is Order 2222 in correlation to all the different
19 things that can happen.

20 So let me ask this: In the cumulation of all
21 those things, at least we'll just say the EV and the
22 DRS, we're talking about proposals where the Company
23 is going out of their way making a proposal to ask
24 customers to change their behavior where whatever
25 costs the Company incurs in asking them to change

1 their behavior is more than offset by the customer's
2 response. Is that fair?

3 A. I think that's typically fair. If we're
4 going to incent someone to do something, compensate
5 someone for a change in behavior, we want to make
6 sure that all of the customers are at least no worse
7 off for us doing that.

8 So, yeah, we want the cost-of-service benefit
9 to be equal to or greater than the compensation paid
10 to the customer.

11 Q. And I remember talking about avoided
12 distribution costs, right, with you a minute ago
13 with minimum system study, and you were discussing
14 how it's your testimony that a lot of the costs on
15 the distribution system in terms of sizing and
16 demand-related costs are driven by the Company's
17 winter peak and those demands that residential and
18 commercial customers put on the Company when it
19 comes to those winter peaks, right?

20 A. That's right. To the extent that it deviates
21 from typical, which I would say is customer-based in
22 cost assignment, that increments over that would be
23 demand-related.

24 Q. All right. So I go back to the vast number
25 of observations in excess of 2,000, 2,500 bills a

1 year. You know, we're talking about, let's say, in
2 excess of 2,000, right? This is April to --
3 actually, I don't know what the end of this data set
4 is -- April to August of this year, maybe September
5 of this year?

6 A. September, yes.

7 Q. So September of this year. So April, so
8 that's 12, 13, 16 months; is that right? 17 months?

9 A. Yes, that's right.

10 Q. We have observations in excess of
11 2,000-kilowatt hours a month. 10, 15 -- you know,
12 coming up on 20,000 bills in Kentucky Power's
13 territory in excess of 2,000-kilowatt hours a month,
14 right?

15 A. Yes, absolutely. Look at December, January,
16 February, and March. March can cause a lot of
17 heating load too there in the early part. I mean,
18 you look at the 2,000 to 3,000 segment, there are a
19 lot of bills in there. Absolutely.

20 Q. Right. And that's what I was going to say.
21 A lot of those are -- you know, there aren't -- it's
22 not an insignificant number of bills when you start
23 looking at 2,000-plus, particularly in the winter,
24 right?

25 A. Absolutely.

1 Q. (Indiscernible). Go ahead.

2 A. I was just going to say, that's one of the
3 impetuses for our -- the winter heating tail block
4 we proposed.

5 Q. Well, like -- so about that. So like let's
6 look at the -- I think it's the -- goodness
7 gracious, is it really, the 2,500 to 3,000 kilowatt
8 hours a month. And the one before that in January,
9 February -- or December, January, and February, do
10 you see that? Some of those are in 17 and 18,000
11 observations in those individual months.

12 Do you see that?

13 A. Yes, Your Honor.

14 Q. Okay. So of all the things that the Company
15 can do in terms of proposals in front of the
16 Commission, why propose merely a declining block
17 schedule instead of something that addresses those
18 particular customers who have that demand that drive
19 those costs?

20 A. So here's the issue: Your heating load
21 isn't -- isn't discretionary, right? I can't -- I
22 don't really want to determine at what price a
23 customer will choose to freeze, you know, rather
24 than turn their heat to a comfortable level. That's
25 definitely not what I'm doing here.

1 And, you know, the issue is with these large
2 bills, these large -- these large usage categories.
3 You see we have a lot of bills they throw based on
4 the current rate design that has a large part of our
5 fixed costs in the volumetric rate, it
6 disproportionately impacts these electric heating
7 customers.

8 And, again, cost causation, I agree, they
9 contribute to distribution peaks, but they are not
10 -- that incremental heating load -- and that's how
11 we design the tail block, so that it's targeting the
12 incremental usage over the same customers'
13 nonheating average usage for the discount. That
14 incremental heating usage is not contributing to
15 like, say, a generation peak in the summertime, and
16 it's not contributing to -- I don't know -- 8 of the
17 12 transmission CPS.

18 So we're trying to unburden the -- those
19 disproportionately affected customers. You know,
20 and, again, people say why don't you just put them
21 on amp? Well, that just spreads that high bill out
22 over more months. What we're trying to do here is
23 actually lower that high bill on a cost causation
24 basis, and the distribution portion of that rate is
25 the same, whether it's in the first part of the

1 usage or in the winter tail block.

2 We're just moving around some of the
3 generation costs there, you know, from a fixed-cost
4 standpoint. It's my opinion these customers are
5 contributing more than their fair share. So we're
6 trying -- based on the rate design that's in
7 existence, you know, between the kilowatt-hour
8 charges and the percentage of revenue riders.

9 So we're trying to reduce that. And the same
10 customers pay a little bit of that back over time
11 because they are consuming, you know, first block
12 kilowatt hours the rest of the year, but it is
13 flattening out those really high winter bills that
14 you see on these disproportionately large usage
15 months, and it's trying to address the problem we
16 have.

17 Q. Let's talk about that for a second. There's
18 an observation January of 2020, there's 18,559
19 observations for customers who use between 2,000 and
20 2,500. Do you see that?

21 A. Yes, Your Honor.

22 Q. So let's just assume that those are weighted
23 towards the bottom of that range, and that the
24 average of those is 2,200, right? 2,200 kilowatt
25 hours that month. That's a fair assumption, right?

1 We filled the bell curve. I mean, it's going
2 to be pulled -- it's going to be pulled to the low
3 range when we start talking about average, right?
4 There's going to be less observations as you grow.
5 We know that from data, correct?

6 A. Yeah. It could be somewhere in the middle,
7 but yeah.

8 Q. Yeah. So let's just say 2,200. So what is
9 the residential kilowatt-hour charge that's being
10 proposed in this case, the first block?

11 A. I'll have to go to my schedule. I don't --
12 unfortunately, don't have everything offhand.
13 Sorry. Bear with me here for a moment.

14 Q. That's okay. Don't forget to lean into the
15 microphone just when you make comments, for the
16 benefit of the court reporter.

17 A. The proposed residential block 1 rate for the
18 whole year is 12.265 cents per kilowatt hour. The
19 winter heating block is 6.265 cents per kilowatt
20 hours.

21 Q. 6-point what? Excuse me.

22 A. 6.265.

23 Q. 6.265, and the ordinary is 12.265; is that
24 right?

25 A. That's correct. There's a 6-cent difference.

1 Q. Okay. And the ordinary one, when does the
2 winter block kick in? 1,100?

3 A. Yes.

4 Q. Okay.

5 A. In December, January, and February.

6 Q. So for, like, an ordinary -- so for the
7 average customer in this block, those 18,000
8 observations, under the current, it's 2,200 times
9 .12265. That would be a \$269 volumetric bill,
10 right? Does that sound right? It's the average
11 times -- it's the average times 12.265, right?

12 A. Sure, yes. I'm not following along with the
13 math here in my calculator.

14 Q. So we just said 2,200 kilowatt hours a month,
15 right? We said that was a reasonable average of
16 that 2,000 to 2,500 range, right?

17 So a person using 2,200 kilowatt hours a month
18 in the winter under a nonblock schedule would pay
19 12.265 cents; is that correct?

20 A. No. If you didn't have a block rate, the
21 rate would be lower.

22 Q. Rate would be lower. Do you know what it
23 would be without the block rate?

24 A. Not offhand, but maybe to help out your --
25 under your example, the 2,200-kilowatt hour customer

1 in that month and the heating block kick in at
2 1,100, they're receiving a \$66 bill reduction under
3 my proposal of the tail block because of the block
4 discount is 6 cents per kilowatt hour.

5 Q. Okay. Great. So \$66 reduction on an
6 approximately \$260 original bill. Is that fair?
7 2,200 times 12.625?

8 A. Again, if you didn't have it, it would be --
9 it's circular. The 12.265 is only there because you
10 have the reduction in the tail block.

11 Q. Okay. I guess my question is with some of
12 the bills that we see, especially for people that
13 use in excess of 2,000 kilowatt hours a month,
14 right, the Commission gets 2,000-
15 3,000-kilowatt-hour-a-month bills all the way up,
16 right? Some of them 7, 8, \$900.

17 When you get an \$800 bill, and you can't
18 afford an \$800 bill, what good does a \$500 bill, if
19 you can't afford a \$500 bill, do you?

20 A. I mean, it's \$300 less. I mean, we're trying
21 to take steps towards this. And, again, I'll
22 piggyback on what Company Witness West discussed.
23 You know, maybe with the AMI infrastructure this
24 customer gets 3 or 4 days into the billing cycle and
25 gets a high bill alert, and they can maybe make

1 their home less warm and cut down a little bit on
2 that.

3 So, I mean, it's --

4 Q. Is the heating load discretionary or
5 nondiscretionary?

6 A. In my opinion it's nondiscretionary. But,
7 again, you know, I don't know what a typical
8 customer, heating customer, is willing to do, you
9 know, if they have more information or not. And,
10 you know, again, gradualism here. We can't just
11 take that \$800 bill down to a hundred. There's cost
12 impacts on that.

13 In this proposal, the winter heating block, if
14 you look in Exhibit AEV1, which is the rate design
15 for all the tariffs, but if you look at the
16 residential line, essentially it's providing a
17 \$14.6 million discount to heating customers during
18 the heating months, and that's being recovered
19 partially, you know, from those same customers
20 throughout the other months.

21 So you're levelizing a bunch, but you're
22 lowering -- you're absolutely lowering those winter
23 bills.

24 Q. And I guess my question is what is the
25 Company going to do or what -- the Company's other

1 proposals is not to charge a different amount
2 necessarily, right, and assume that people can't
3 change their behavior. That's not your proposal for
4 DSR; it's not your proposal for EV.

5 It's to offer them an incentive to do
6 something different, right? To change their
7 behavior. Here you're proposing that they won't
8 change their behavior; you're making the rate less.

9 So I'm asking in terms of DSM or other options
10 that the Company has at its discretion, what can the
11 Company do to help people use less electricity in
12 these extreme situations?

13 A. Just to be clear, Your Honor, my testimony is
14 that this winter heating block discount is based on
15 cost causation because of the disproportionate
16 fixed-cost collection in the winter months and these
17 high bills because of the underlying rate structure
18 being too volumetric.

19 You know, we don't have these issues in a
20 class like IGS or GS where you have more
21 cost-of-service base rates that have demand charges,
22 have kilowatt-hour rates, and then a service charge.

23 So that's the reason why we're doing this
24 differently than we are looking at DRS or the EV
25 rate. You know, these customer -- again, we're

1 coming at it just from a different direction.

2 To answer the second part of your question
3 there, I don't have a solution, as I sit here today,
4 for how I can help these customers heat their homes
5 more efficiently. You know, I just don't have one
6 for you.

7 Q. Would you agree that these extreme usage
8 patterns in the winter do drive additional costs for
9 the customers, for customers as a whole?
10 Distribution expenses, for instance?

11 A. Yeah. Again, I'll agree on a distribution
12 basis that it's sized to meet our peak load. That
13 happens in the winter. Again, when you look at
14 retail rates has distribution, generation, and
15 transmission in it.

16 And again, if you go through the cost -- not
17 the cost of service -- if you go through the rate
18 design, kind of the distribution portion of that is
19 the same whether it's in the -- recovering full
20 distribution costs in that winter heating block, the
21 6.265 cents there, it's trying to lessen, you know,
22 some of the cost contribution to those generation
23 and transmission fixed costs that they're overpaying
24 for, in my opinion.

25 Because, again, that heating load does not --

1 it's not there to power a 5-CP. It's not there for
2 probably 8 of the 12, maybe 7, 8 of the 12 --
3 12-CPs. Again, you got to look at all three
4 cost-causing peaks.

5 But I absolutely agree, they are the reason
6 that the distribution system is sized the way it is.
7 That is our largest peak.

8 Q. Bear with me just for one second, Mr.
9 Vaughan. I'm checking all my notes here.

10 Can I ask, then, with regard to -- I believe
11 your testimony talks about the benefit from the
12 Company's perspective of the declining block rate
13 for lower-income customers. Do you remember that?

14 A. Yes.

15 Q. And it's the Company's position that this
16 declining block schedule is a benefit to
17 lower-income customers. And would you agree the
18 Company's basis of that is the usage for LIHEAP
19 customers?

20 A. It is. Those are the customers that I have
21 direct insight into from a billing standpoint where
22 I can flag those as these are the billing accounts
23 for LIHEAP, and that, you know, versus any other
24 economic measure of low income. Like that's the
25 consistent thing I can see when we create a billing

1 system.

2 And that same pattern holds true in the
3 Company's other Appalachian jurisdictions. You see
4 the exact same pattern with electric heating and low
5 income in Virginia and in West Virginia.

6 Q. Okay. And then you were asked in Staff 7-1
7 on this particular issue, right? The correlation
8 between income and usage, correct?

9 A. I was asked to do a great many things in
10 Staff 7-1.

11 Q. Well, and with all due respect, very little
12 was done, so that's why I'm asking about it. So
13 it's your position that the LIHEAP customers are
14 effectively representative of lower-income customers
15 as a whole for the Kentucky Power territory, right?

16 A. I'd say they're representative, yes.

17 Q. Okay. But when asked to actually compare the
18 Company's data to, for instance, income information
19 on a census basis, you were unable to.

20 A. Well, again, as the Company's response talks
21 about, what was asked of the Company would have
22 taken about -- oh, gosh, I can't remember -- many
23 weeks to complete from a manual entry standpoint,
24 and I'll be honest with you, I couldn't find the
25 income data on the census website for my own census

1 track. So it was a bit of a struggle there.

2 Q. Okay. So instead of clarifying, for
3 instance -- did you go to the website that was
4 provided where it stated that you could put
5 information in 10,000 observations at a time?

6 A. Many of us did, yes.

7 Q. Okay. But I just want to make clear, and
8 it's really understanding this, is the Company's
9 conclusion that lower-income customers use more
10 electricity based exclusively in this case, right,
11 the evidence in this case based exclusively off of
12 the LIHEAP data?

13 A. Yes. My testimony is that our LIHEAP
14 comparison that includes thousands of customers --
15 again, across multiple jurisdictions, not just
16 Kentucky. I only used Kentucky in this case, but I
17 see this in multiple jurisdictions -- is
18 representative of low-income customers, and I'd
19 rather look at actual observations than census track
20 ten-year-old estimates.

21 VICE CHAIRMAN CHANDLER: Mr. Chairman, I
22 think we need to move on to the confidential session
23 for the last part of the questions that I have.

24 CHAIRMAN SCHMITT: Let's see. Candace, can
25 we get into confidential session now?

1 MS. SACRE: The button that I usually push is
2 not letting me.

3 CHAIRMAN SCHMITT: Initially we're having
4 some problems. So just hold on, and we'll continue
5 to work on it.

6 MS. VINSEL: Chairman, this would also be a
7 point for Mr. Frye to leave the hearing temporarily.
8 I can let him know when he can come back in. This
9 is a Kentucky Power document, and Mr. Frye has not
10 signed an agreement with Kentucky Power.

11 CHAIRMAN SCHMITT: Okay. All right.

12 MR. FRYE: That's correct, Your Honor. So
13 you want me just to dump out of the meeting
14 completely?

15 CHAIRMAN SCHMITT: Yes, if you would.

16 MR. FRYE: I will do so, and if someone can
17 just let me know when it's time to come back, I
18 would appreciate it.

19 CHAIRMAN SCHMITT: Okay. Thank you.

20 MS. SACRE: Jim is going to check to see if
21 he can do it manually from back there, but my
22 confidential button --

23 CHAIRMAN SCHMITT: We're still working on it
24 to see if we can get into confidential session.

25 MR. RHODES: The system is not letting us go

1 into confidential mode.

2 (Indiscernible conversation.)

3 CHAIRMAN SCHMITT: All right. Here's --
4 here's -- we have a technological problem which
5 prohibits us from going into confidential session at
6 this time. Our IT person is making a telephone call
7 to see what can be done. So we can wait and do
8 that, or we can move on.

9 I don't know exactly how we do that because I
10 know counsel for Kentucky Power was going to want to
11 conduct a redirect, but apparently something
12 happened to the technology here that we no longer
13 have an option to go into confidential session until
14 something is fixed.

15 VICE CHAIRMAN CHANDLER: Chairman, can I
16 propose -- I believe that I can ask the majority of
17 my questions. As long as Mr. Vaughan has the
18 document in front of him, his personal document in
19 front of him, I think that I could ask the
20 majority -- I think I can ask all of them on the
21 nonconfidential session because I won't get into the
22 actual numbers, if that's something we'd like to
23 try.

24 And then Ms. Blend can correct us if we veer
25 off course. We can always go back and edit the film

1 and take something out if need be.

2 CHAIRMAN SCHMITT: Why don't we try to do
3 that and see what -- see if we can. And if it
4 doesn't work, we'll just stop and -- till we get it
5 repaired.

6 Q. So, Mr. Vaughan, let me ask, do you have --
7 can you get in your possession the Company's
8 response -- confidential response to KPSC 5-6?

9 A. Probably. Just a moment.

10 Q. That's okay.

11 VICE CHAIRMAN CHANDLER: And for Counsel's
12 benefit, your benefit, Mr. Vaughan, on the document,
13 there were tabs at the bottom, and I just would like
14 to talk about the summary page, if we could.

15 MS. BLEND: Your Honor, this is Ms. Blend.
16 We are pulling up a copy of the document, which is
17 an Excel spreadsheet, electronically. And we'll
18 just need a moment to do so.

19 VICE CHAIRMAN CHANDLER: That's okay.

20 MS. BLEND: I'll let you know once we have
21 pulled it up. Thank you.

22 And while we are pulling up that document,
23 Your Honor, I did just want to mention, in terms of
24 confidentiality, there is the YouTube stream, I
25 believe, that is currently going, and so I will

1 express some reservation regarding the ability to
2 put confidential information -- or eliminate
3 confidential information from that record inasmuch
4 as some confidential information, you know, if
5 observed by someone on YouTube, cannot be --
6 (indiscernible).

7 CHAIRMAN SCHMITT: Once it's on YouTube,
8 there's not much hope of expunging anything. So if
9 we get close to something, I mean, I think it's up
10 to the Vice Chairman and Mr. Vaughan and you, Ms.
11 Blend, if we're getting close to an issue where you
12 think something might be revealed, if you'll let me
13 know or object, I'll stop it immediately, and we'll
14 just wait until we get some other expertise in here
15 to see if we can get the system fixed.

16 Apparently, it just went off on its own, and
17 the button that would allow us to go into
18 confidentiality -- confidential session disappeared.
19 So we're trying to work on that now, but so -- we
20 can try to go forward, but if there's an issue, we
21 absolutely won't compromise confidentiality.

22 MS. BLEND: Thank you, Your Honor. I'll just
23 ask is it possible to turn off the YouTube stream
24 just to avoid that particular concern such that we
25 would only need to deal with -- within the video

1 record?

2 CHAIRMAN SCHMITT: I don't know. We're
3 sending a runner back now to see if that is
4 possible.

5 MS. BLEND: Okay. Thank you.

6 So I'll just remind Mr. Vaughan to be very
7 judicious and careful in his answers to ensure that
8 we don't disclose any confidential information.

9 VICE CHAIRMAN CHANDLER: Yeah, and I'll just
10 ask, as an initial matter, Ms. Blend, are the -- let
11 me get this right. The rows on the left, the one,
12 two, three, four, five, six, seven different
13 classifications on the left, are those -- just
14 referring to those, never referring to the numbers,
15 confidential in and of themselves?

16 THE WITNESS: I don't believe so, no.

17 MS. BLEND: They're not.

18 VICE CHAIRMAN CHANDLER: Okay. That's
19 primarily what I'm going to be asking about. I'm
20 fairly indifferent to the numbers because I can see
21 them, and I know what they are, and they're in the
22 record. I just need to understand what each one of
23 the rows specifically means as it relates to those
24 numbers.

25 MS. BLEND: Sure.

1 THE WITNESS: I have the spreadsheet up at
2 the summary tab.

3 CHAIRMAN SCHMITT: Is there a ruling on that?

4 MS. VINSEL: We've got a couple options,
5 Chairman.

6 Yes, our IT department is able to turn off the
7 YouTube stream and audio, and he's doing that now
8 and checking it. The other option is, if we take a
9 10-minute recess, he can reboot the system, and,
10 ideally, the ability to go into confidential session
11 would be there.

12 CHAIRMAN SCHMITT: Were you able to hear
13 Ms. Vinsel? You were?

14 MS. BLEND: Yes, sir, I was able to hear
15 Ms. Vinsel.

16 CHAIRMAN SCHMITT: Okay. Well, here's the
17 situation: We can either cut off YouTube audio and
18 video, or we're told that if we can take a 10-minute
19 break we can reboot, and we should be able to get
20 the system back in order.

21 My suggestion is that we just take a 10-minute
22 break and then see if we can get the system fixed
23 and come back. And then, if we can't, if it doesn't
24 work, then we just, you know, delete YouTube. Okay?

25 MS. BLEND: Thank you.

1 CHAIRMAN SCHMITT: That's the best. And,
2 that way, you can go into confidential session. And
3 if not, we can fix it another way. So we'll now be
4 in recess until 12 minutes after 4:00.

5 MS. BLEND: Thank you, Your Honor.

6 (Recess from 4:04 p.m. to 4:18 p.m.)

7 CHAIRMAN SCHMITT: Okay. We're back on the
8 record, and the system has been fixed. Jim Rhodes
9 has managed to get us back to where we could be in
10 confidential session. So if you still want to go
11 into confidential session, Vice Chairman, let me
12 know, and we'll do that right now.

13 VICE CHAIRMAN CHANDLER: I'd certainly like
14 to try to. If Mr. Frye -- we'll let him speak up
15 for a second.

16 MR. FRYE: I was just going to say, if we're
17 going to do this, then I will dump back out of the
18 meeting once again.

19 CHAIRMAN SCHMITT: Oh, I guess that's right.
20 Apparently, your client didn't sign a
21 confidentiality order or something. Is that the --

22 MR. FRYE: That's correct.

23 CHAIRMAN SCHMITT: Or agreement, I assume?
24 All right. Well, I'm sorry, Mr. Frye, but if you
25 can drop off one more time, we'll see if we can get

1 through this.

2 MR. FRYE: I will do that right now,
3 Mr. Chairman.

4 CHAIRMAN SCHMITT: All right, Candace. Can
5 we go into confidential session?

6 MS. SACRE: Okay. We are in confidential.

7 CHAIRMAN SCHMITT: All right. We're now in
8 confidential session.

9 (Confidential testimony of Mr. Vaughan heard
10 from 4:19 p.m. through 4:49 p.m.)

11 CHAIRMAN SCHMITT: Okay. We're now back in
12 public session.

13 Dr. Mathews, questions?

14 VICE CHAIRMAN CHANDLER: Chairman, I have one
15 more question.

16 CHAIRMAN SCHMITT: Oh, I'm sorry.

17 COMMISSIONER MATHEWS: Vice Chairman isn't
18 done.

19 CHAIRMAN SCHMITT: I didn't want to interfere
20 with your objection. Go ahead.

21 Q. Last question I have, Mr. Vaughan, is on the
22 weather normalization adjustment you made as a test
23 year adjustment. Are you aware of what I mean when
24 I say that?

25 A. I am.

1 Q. And what is the basis of that? I'm unaware,
2 and I'll plead my ignorance, if the Commission has
3 ever approved that as it relates to an electric
4 utility.

5 So I'm just curious. Is this something that
6 you've offered in the past, that you've done in
7 other states? Is this something that maybe Kentucky
8 Power has done in previous cases I'm unaware of?

9 I'm just curious if you can speak to that
10 normal weatherization -- weather normalization
11 adjustment.

12 A. Yes, certainly. We did include this in at
13 least the last base rate case, potentially the one
14 before that as well, but this is a common adjustment
15 we make in our retail jurisdictions where, right,
16 weather can drive, negatively or positively, drive
17 sales.

18 And so when you're trying to set rates, you
19 want to use billing units, you know, as the basis
20 for that, those rates that are, in theory,
21 weather-normal, right? So you're indifferent to
22 weather.

23 And our load forecasting group does a lot of
24 studies around this, and they are the ones that
25 provide us with, you know, heating degree days and

1 cooling degree days and come up with what the actual
2 impact of weather was on our sales over any period
3 of time. And they use 30-year normal weather
4 measure as the basis for that.

5 So this -- this adjustment in this rate case
6 increased revenues by \$4.2 million because our
7 weather was below normal from the test year. And
8 so, again, with that you -- you don't just look at
9 revenues in -- because it really, underneath it,
10 you're adjusting sales units, and so you also look
11 at the variable cost of those sales units.

12 So there's kind of two parts to it. You
13 increase or decrease retail sales revenues, and you
14 increase or decrease to some percent variable
15 operating expenses that go with them. So the net
16 effect of this adjustment is about a \$1.2 million
17 reduction in the revenue requirement.

18 Q. So I guess I'm confused. What's the
19 \$4.2 million amount, and what's the 1.2 million you
20 said?

21 A. If you look at page 46 of my direct testimony
22 where I discuss this adjustment, retail revenues
23 increased by 4.2 million, but then, accordingly, you
24 also adjust operation and maintenance expense for
25 variable -- variable O&M you would have incurred,

1 which is energy supply costs, as you adjust the
2 level in sales by 2.8 million.

3 So revenues go up by 4.2, expense goes up by
4 2.8, the net effect is \$1.2 million, essentially a
5 decrease in the revenue requirement.

6 VICE CHAIRMAN CHANDLER: Okay. All right.
7 Thank you very much.

8 Sorry, Commissioner Mathews. I apologize.

9 CHAIRMAN SCHMITT: Commissioner Mathews,
10 questions?

11 COMMISSIONER MATHEWS: I can't imagine
12 there's anything that has been not asked, so I have
13 no questions.

14 CHAIRMAN SCHMITT: All right. Ms. Blend, I
15 suspect that you have redirect; is that correct?

16 MS. BLEND: That's correct, Your Honor.

17 CHAIRMAN SCHMITT: Your client was on the
18 stand for a couple hours or so yesterday and all day
19 today. Would you like -- we can recess and come
20 back in the morning, especially if you'd like some
21 time to talk to your witness in view of the
22 examination, or we can -- you can go forward now.
23 It's up to you.

24 MS. BLEND: Your Honor, we'll take your offer
25 and plan to conduct redirect first thing tomorrow

1 morning.

2 CHAIRMAN SCHMITT: Okay. All right. We'll
3 be in recess until 9:00 in the morning, and,
4 hopefully, we can finish this case tomorrow. We'll
5 see everybody at 9:00 a.m.

6 MS. BLEND: Thank you, Your Honor.

7 (Hearing adjourned at 4:53 p.m.)

8 * * *

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


STATE OF KENTUCKY)
)
) SS.
)
COUNTY OF JEFFERSON)

We, Laura J. Kogut and Jennifer R. Janes,
Notaries Public within and for the State at Large,
with commissions expiring 25 July 2023 and 1 May
2023 respectively, do hereby certify that the
foregoing hearing was taken before us at the time
and place and for the purpose in the caption stated;
that witnesses were first duly sworn to tell the
truth, the whole truth, and nothing but the truth;
that the hearing was reduced by us to shorthand
writing; that the foregoing is a full, true, and
correct transcript of the hearing to the best of our
ability; that the appearances were as stated in the
caption.

WITNESS our hand this 30th day of November
2020.



Laura J. Kogut, RMR, CRR, CRC
Notary Public, State at Large



Jennifer R. Janes, RPR, CRR, CRC
Notary Public, State at Large